

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

APPEARANCES: *(C o n t i n u e d)*

Reptg. Conservation Law Foundation:
Nicholas Krakoff, Esq.

Reptg. Clean Energy New Hampshire:
Christopher Skoglund

Reptg. ChargePoint, Inc.:
Nikhil Vijaykar, Esq.
(Keyes & Fox)

Reptg. Town of Derry, NH:
Jeff Moulton

Reptg. Dept. of Environmental Services:
Rebecca Ohler

Reptg. Residential Ratepayers:
Julianne M. Desmet, Esq.
Maureen Reno, Dir./Rates & Markets
Office of Consumer Advocate

Reptg. New Hampshire Dept. of Energy:
Brian D. Buckley, Esq.
(Regulatory Support Division)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

I N D E X (continued)

	PAGE NO.
<i>Administrative notice taken of DE 16-576</i>	155
DISCUSSION RE: REDLINES	157
Redline re: Exhibit 24, Page 16	157
Redline re: Exhibit 24, Pages 20 & 21	157
Redline re: Exhibit 12, Bates Page 029	157

* * *

E X H I B I T S

EXHIBIT NO.	D E S C R I P T I O N	PAGE NO.
27	RESERVED for Record Request (Reference Procedural Order Re: Record Requests in Docket DE 20-170, filed on 02-01-22, Item #91, in Virtual File Room)	158
28	RESERVED for Record Request (Reference Procedural Order Re: Record Requests in Docket DE 20-170, filed on 02-01-22, Item #91, in Virtual File Room)	159
29	RESERVED for Record Request (Reference Procedural Order Re: Record Requests in Docket DE 20-170, filed on 02-01-22, Item #91, in Virtual File Room)	160

E X H I B I T S (continued)

EXHIBIT NO.	D E S C R I P T I O N	PAGE NO.
30	RESERVED for Record Request (Reference Procedural Order Re: Record Requests in Docket DE 20-170, <i>filed on 02-01-22,</i> <i>Item #91,</i> in Virtual File Room)	160
31	RESERVED for Record Request (Reference Procedural Order Re: Record Requests in Docket DE 20-170, <i>filed on 02-01-22,</i> <i>Item #91,</i> in Virtual File Room)	161
32	RESERVED for Record Request (Reference Procedural Order Re: Record Requests in Docket DE 20-170, <i>filed on 02-01-22,</i> <i>Item #91,</i> in Virtual File Room)	161
33	RESERVED for Record Request (Reference Procedural Order Re: Record Requests in Docket DE 20-170, <i>filed on 02-01-22,</i> <i>Item #91,</i> in Virtual File Room)	161
34	RESERVED for Record Request (Reference Procedural Order Re: Record Requests in Docket DE 20-170, <i>filed on 02-01-22,</i> <i>Item #91,</i> in Virtual File Room)	162
35	RESERVED for Record Request (Reference Procedural Order Re: Record Requests in Docket DE 20-170, <i>filed on 02-01-22,</i> <i>Item #91,</i> in Virtual File Room)	163

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

P R O C E E D I N G

(Hearing resumed at 1:17 p.m.)

CHAIRMAN GOLDNER: Okay. We'll continue with the Eversource panel with Commissioner questions, beginning with Commissioner Ross.

SPECIAL CMSR. ROSS: Good afternoon. I have a number of questions. And I would just appreciate it if the Eversource witness who's best suited to answer the question would take it.

BY SPECIAL CMSR. ROSS:

Q Earlier, Mr. Buckley was pursuing a line of questions concerning the various components to your \$9 million cost estimate for, as I understand it, upgrading your systems in order to accommodate a time-of-use rate offering.

And I'm going to ask again if you would please give the different components to the \$9 million estimate, with either a number or a range for each component, so that we have a clear picture of how you arrived at \$9 million?

A (Moore) I think I'm in the best position to answer that. And give me one second, I'll go to the exhibit please.

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 Q Could you identify the exhibit you're going to?

2 A (Moore) I think it's Exhibit 4. Let me check
3 please.

4 Q Yes. I believe it's on Page 10.

5 A (Moore) Yes. I might have closed it by accident.
6 I apologize. Okay. Sorry about that.

7 So, in the \$9 million, there's cost
8 categories that include the project management,
9 and that's, obviously, the labor that's necessary
10 to do the governance and the oversight, and that
11 would be for most of the years, so, we've got the
12 actual costs broken out --

13 Q I'm sorry, you broke out.

14 A (Moore) Sorry.

15 Q I mean, you broke up. Excuse me.

16 A (Moore) Sorry. The first cost category is on
17 Page -- if you refer to the -- it's
18 Exhibit 8 [sic], it's Page 3 of 3. It's where we
19 give a cost breakdown of all of the different
20 components in phases.

21 The first cost category is "Project
22 Management", and that totals 1.635 million over
23 the duration of the project. That's for the
24 oversight and governance and scheduled management

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 of the overall project.

2 The second cost category is our
3 "Requirements, Design and our System
4 Development". For that same period, the cost
5 there is 6.933 million. And that's for the labor
6 to actually prepare the requirements that I
7 mentioned earlier, the various design, code
8 development, and the initial unit testing.

9 And, then, our "Final Acceptance
10 Testing", that cost is about 552,000, is part of
11 that \$9.1 million estimate.

12 Q So, that upgrade included different changes to
13 the system. Some of those changes had to do with
14 the billing components and the data received from
15 the meter, and other changes had to do with the
16 EDI communication with third parties. Is that
17 correct?

18 A (Moore) Yes. And it also would include other
19 changes, like, as we're bringing in potentially
20 those meter reads where there may be changes we
21 have to make in our downstream systems, like our
22 metering systems, to bring the information in.
23 And, also, we'd make changes to our general
24 ledger reports. So, it's not just the billing

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 systems themselves, because the core billing
2 apparatus and a rate has to be introduced. But,
3 then, because these are basically additional
4 components we haven't done, we'd have to figure
5 out ways to push the result of that billing to
6 our general ledger systems. All that
7 additional inter -- those interfaces would be
8 changed and tested. So, it also includes any of
9 that work as well.

10 Q And, then, a final question would be, of the
11 components that you -- well, actually, of the
12 total, your testimony, as I recall it, to Mr.
13 Buckley was that the EDI changes were
14 "substantial". Can you give a percentage of the
15 total that those changes would be costing?

16 A (Moore) Yes. I think, roughly, in that mix,
17 we're looking at, you know, about a quarter the
18 costs, up to a third, are part of that EDI mix in
19 that estimate. The main driver there is the
20 complexity of which we have to interact with the
21 suppliers and change the components that we send
22 back and forth. Those include all various types
23 of not only, you know, pricing and billing
24 information, but we have to go through adds,

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 drops, all that regression of activity, along
2 with the changing of those rate structures and
3 communication structures within the EDI.

4 Q What vendors would you be communicating with
5 through the EDI system?

6 A (Moore) Well, we actually use, and depending on
7 which jurisdiction it is and which suppliers, we
8 actually use our Supplier Management Team to pick
9 which vendors that are currently serving the
10 customers that we believe will have the most
11 exposure. So, we would choose one of those
12 vendors based on their recommendation. So, it
13 would be one of the third-party vendors who are
14 serving our customers, and potentially would be
15 serving this new EV rate.

16 Q Okay. Mr. Davis, are you an electrical engineer?

17 A (Davis) I have an Electrical Engineering degree,
18 and I have had some work experience working as an
19 engineer within the industry. I am not a
20 licensed engineer.

21 Q I've saved a question for you.

22 A (Davis) Okay.

23 Q I'm not an engineer. Would you please explain to
24 me, in language I can understand, the difference

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 between "kW" and "kVA"?

2 A (Davis) I'd be glad to. And it's really, if you
3 think about the concept, I was thinking about
4 this after the last call, "kVA", first of all, is
5 just the total power that is needed to perform
6 some -- to run a motor or whatever it might be.
7 "KW" is the portion of that total power that
8 actually does the work.

9 So, I was thinking about this thing.
10 Now, suppose you had a, I don't know, a cart that
11 you're trying to push up a hill, and it's going
12 to take so much effort. There's a certain amount
13 of minimum effort that you need just to hold it
14 and get it started up the hill. That's that --
15 it's called "reactive power". It's the portion
16 of total power that is just the pressure you need
17 to just get started to do the work. And the rest
18 of the kVA is the kW, the power that actually
19 does the work. So, if, you know, this cart was
20 on a level, flat level -- it was on the level,
21 and you just had to touch it and it would start
22 moving, your power factor would be 100 percent,
23 meaning all the energy unit you need, the kVA, is
24 the same as the amount of work you're doing. So,

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 kW and kVA are the same.

2 If 20 percent of your effort, if you're
3 on that hill, and you're trying to push it up a
4 hill, and 20 percent of all the effort is just to
5 hold it and get it started, then the remaining
6 80 percent of that power is kW. So, you might
7 have, in that scenario, it takes 100 units of
8 effort, and that would be 100 kVA, and only
9 80 percent of that is actually doing the work,
10 so, your kW would be 80.

11 So, that's probably a good sort of
12 conceptual analogy. So, kW is really the portion
13 of your total power that does the work. And our
14 meters measure that using electrical quantities,
15 and they're both measures of power.

16 Q Thank you. That's actually very helpful. I
17 appreciate it.

18 A (Davis) Okay. Great.

19 Q All right. I have a few basic questions, just so
20 I can understand what infrastructure is currently
21 in place. And I'm going to start with a
22 residential customer.

23 So, if I'm a -- actually, I am a
24 residential Eversource customer, now that I think

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 of it. So, what kind of a meter do I have and
2 what does it measure?

3 A (Davis) So, your standard residential customer,
4 we earlier talked about a standard versus a
5 residential time-of-day customer, but a standard
6 customer would have a single AMR-type meter, you
7 know, you've heard about that, of course, and
8 that measures kilowatt-hours that you use over
9 the course of a billing cycle.

10 So, you read a meter at the beginning
11 and at the end, and the kilowatt-hours that you
12 utilize during that period is what that simple
13 scaler AMR meter captures; record that; and then
14 we have a drive-by van that can drive down the
15 street and pick up, you know, pick up that
16 registered total kilowatt-hour amount, capture
17 it; and then later push it into our billing
18 system.

19 Q So, it signals through the air to some remote
20 reader?

21 A (Davis) Yes. We transmit it through the air from
22 the meter to our van that collects that data.

23 Q And I would assume that, on a minute-by-minute
24 basis, it's measuring power, but it's not

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 recording those, any of those intervals, is that
2 correct?

3 A (Davis) That's correct. In fact, to your earlier
4 question, power is just kind of the level of
5 power you're taking. So, if you were to look at
6 your meter, and you had a demand register, it
7 might actually show the demand, as well as the
8 kilowatt-hours. But, at any instant, you could
9 go look at your meter, and there will be these
10 little display items that will tell you how much
11 cumulative kilowatt-hours you've taken, as well
12 as the current level of power that you're taking.

13 Q Are there any add-ons that can be placed on my
14 meter that would allow for any storage of the
15 data or any interval signaling?

16 A (Davis) I think, for commercial meters, there
17 might be certain add-ons that can provide pulses
18 and signals like that, and I'm not that close to
19 it. But, typically, not for a residential meter,
20 but for the fact that some residential meters,
21 for example, I might have a survey meter, a load
22 research meter, that will gather interval data.
23 So, while everything I've said is happening for
24 billing purposes, for measuring and recording

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 your total usage, we may also be capturing and
2 storing the interval data, which is not available
3 at the time of billing, but later we can, through
4 a number of different means, call up and download
5 that stored interval data. But that's just for a
6 subset of our customers, where we're doing load
7 research and surveying and capturing that data.

8 Q How many total residential customers do you have
9 in New Hampshire?

10 A (Davis) On the order of 400,000.

11 Q Of those 400,000, how many of them might have
12 survey meters?

13 A (Davis) I think it's about 250, perhaps a little
14 more.

15 Q Okay.

16 A (Davis) I'm a little stale on the number, because
17 we were trying to get more of those load survey
18 meters out in the field and capture that data.

19 Q Okay. Well, ballpark is helpful.

20 A (Davis) Yes. It's about 300, for discussion.

21 Q If we were to separately -- if I were to install
22 an EV and separately meter it, what type of meter
23 would you be installing?

24 A (Davis) So, if we were able to use our current,

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 and I presume you're talking about "residential",
2 Commissioner?

3 Q Yes. I'm still residential. We'll move to
4 commercial in a minute.

5 A (Davis) So, we have an existing similar
6 time-of-use meter. So, instead of just single
7 kilowatt-hours for the whole month, it's a
8 two-period meter. So, it would capture, based on
9 how we program the meter, the number of
10 kilowatt-hours during the peak period and the
11 number of kilowatt-hours during the off-peak
12 period for the entire month. And that that, if
13 it's a two-period rate, we could utilize that
14 meter, and, frankly, with practical -- all
15 practical considerations, that's the most
16 efficient way, is to take an existing meter type,
17 and just deploy that, along with some existing
18 rate structure. And, so, under that scenario, a
19 two-period EV time-of-use rate, we would advocate
20 using that type of meter.

21 But that doesn't preclude us from also
22 utilizing an interval meter, which would be
23 utilized to -- we would then have to, of course,
24 if we have those registers, we can simply just

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 pick up the peak and off-peak kilowatt-hours, as
2 I just said. If it needed to be more than two
3 periods, we would have to both capture interval
4 data, and then have a special collection process,
5 data management system, and, obviously, it would
6 have to align with what's needed for billing.
7 And, frankly, that's, my understanding, part of
8 what's behind the cost to implement a
9 three-period time-of-use rate.

10 So, again, if the scenario is a
11 three-period, or anything more than our standard
12 two-period rate that we already have a meter for,
13 we would have to go through those extra costs and
14 steps to implement a more complex time-of-use
15 rate for EV charging.

16 Q What is the cost of your two-period meter?

17 A (Davis) The actual -- I think the equipment cost,
18 I apologize, I'll just give you what I recall off
19 the top of my head from our marginal cost study,
20 I think it was like \$193, something of that
21 nature.

22 And that, plus, you know, the cost to
23 install, that, you know, is a materials and
24 handling and installation, becomes our total

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 installed cost of a meter.

2 Q Would that add another 100, maybe, or do you have
3 an idea?

4 A (Davis) I think our current meter is on the order
5 of \$50 for the standard residential Rate R
6 customer. And I'm thinking, again, from what's
7 in our study. So, I think the factor was about
8 between two and two and a half times the cost for
9 a residential time-of-day meter compared to a
10 standard meter.

11 Q So, the two-period meter is roughly two and a
12 half times the cost of a standard meter, is that
13 what you're saying?

14 A (Davis) Yes. And, again, I don't remember the
15 precise number. I remember it was
16 2. something.

17 Q Okay. I'm just looking for a ballpark.

18 A (Davis) Order of magnitude? Okay. Great.

19 Q For the interval meters, how would its cost
20 compare for a residential meter?

21 A (Davis) I actually believe, we earlier had some
22 cross, I think the number that we cited was about
23 \$500.

24 Q That is the number. I wasn't sure whether that

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 was what we were still talking about here. So,
2 that was for the interval meter?

3 A (Davis) Yes. Full interval, and, you know, that
4 would be, obviously, deployed the way I
5 described. Where you are then downloading,
6 instead of just several pieces of data, you're
7 actually downloading and capturing for processing
8 of, you know, every interval for the whole month.

9 Q Okay. Let's move to the commercial customer, and
10 the same question. I'm a small commercial
11 customer or a large commercial customer, do I
12 have basically the same meter? And, if so, what
13 is it?

14 A (Davis) No, they are different. Small commercial
15 customers, and we do have both the standard and a
16 time-of-day alternative for Small General
17 Service. Those are Rates G and Rates G-TOD,
18 respectively.

19 So, Rate G, small commercial, it's very
20 similar, it's, I believe, an AMR-type meter, but
21 it captures not only the monthly kilowatt-hours,
22 but also the maximum demand for the month. So,
23 measured in kW, as we talked about earlier.

24 So, I think those meters have, I

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 believe, three registers, instead of one. And,
2 so, two of those registers are used to capture
3 total kilowatt-hours for the month and the
4 maximum demand for the month.

5 The intermediate and large customers,
6 and that would be, typically, under Rates GV or
7 LG, we will have interval recording meters for
8 those. From there, we are now looking at,
9 depending on which rate the customer is on, but
10 we're looking at bringing in interval data. And
11 we typically are looking for, again, depending on
12 the structure, total kilowatt-hours, possibly
13 peak and off-peak kilowatt-hours, as well as
14 total demand and peak and off-peak demand. And,
15 further, we may be measuring those in kW or kVA,
16 depends on the customer. We do have a bit of a
17 mix, particularly under Rate GV. But the rate,
18 you know, it's all part of the rate design,
19 where, if it's kVA, we do one thing; if it's kW,
20 we do something else.

21 But, really, we're bringing in -- we're
22 utilizing interval data for the entire month, and
23 we're processing that data. So, we have to
24 collect and download that. I believe, and I'm

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 going to beg off a little on the details, but I
2 believe it's sort of a dial-up or a call-up and
3 download of the interval data. And then, from
4 that, we process that data, and determine all
5 those quantities I mentioned, you know, peak
6 kilowatt-hours, off-peak kilowatt-hours, peak
7 demand, whether measured in kW or kVA, off-peak
8 demand, whether measured in kW or kVA. And,
9 then, we have to use that data in various ways.

10 Our largest class, Rate LG, has a very
11 complex ratcheted demand formula, that looks at
12 peak and off-peak in the current month, as well
13 as in the prior eleven months. Our intermediate
14 rate, GV, will look at the peak period and the
15 off-peak period in the current month, and process
16 the data, you know, in that -- according to the
17 rate schedule in each of the rate components.

18 Q So, that rate --

19 A (Davis) But, generally, -- go ahead.

20 Q That doesn't have an eleven-month or twelve-month
21 ratchet then? It just looks at it monthly?

22 A (Davis) That's correct. I will say that those --
23 both of those rates are used in a slightly
24 different way, when we're looking at using the

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 rates for other services, such as backup service,
2 as I mentioned earlier. But those typically work
3 off of a contract demand, then we have to further
4 break down the data.

5 But, really, for our mainstream and the
6 bulk of our customers, everything I described,
7 like you said, Rate GV is really based on current
8 month, and Rate LG is current month, plus a prior
9 month look-back.

10 Q Okay. I have a -- did you have a chance to look
11 at the comments that were sent in by the Town of
12 Derry? They came in this morning.

13 A (Davis) I did not yet. But I think one of my
14 colleagues has done that, and maybe, depending on
15 the question you might have, maybe, between the
16 two of us, we can address what the question might
17 be.

18 Q Well, I guess I would like to ask whoever
19 actually has looked at it, because it was an
20 eyeopener. And I do have some questions
21 relating -- specific questions relating to it,
22 because I'm just trying to understand what I'm
23 looking at in the way of bills.

24 Sorry. I'm just getting back to the

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 exhibit.

2 All right. I have it in front of me.

3 What witness is going to answer these questions?

4 A (Rice) I have it in front of me as well.

5 A (Boughan) Yes. It depends on the question.

6 Q Okay. All right. My first question is, the Town
7 of Derry is talking about some chargers that it
8 has -- that it had installed in the Town for the
9 public's use. And, at the bottom of the
10 comments, it has copies of a couple of bills.
11 And the two bills appear to be priced very
12 differently. And I'm just trying to understand
13 them.

14 So, Exhibit 1 is an Eversource bill.
15 And, first of all, are these for the same
16 account? Can we tell?

17 A (Boughan) They appear to be, yes.

18 Q Okay. The number does seem to match. So, the
19 first bill is for a total use of -- I think it's
20 1,100 kilowatts and change. And it's -- the cost
21 is "\$183.90". And the second bill to the same
22 account, for the following month, is for "818
23 kilowatt-hours", and the bill is for "\$571.92".

24 And I just would like to understand

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 how, you know, what drives that change, because
2 it's a lower consumption and, obviously, a much
3 higher cost?

4 A (Boughan) Sure. My understanding is that the
5 first bill the customer was not on the correct
6 rate. In other words, when the account was
7 established, the incorrect rate was applied.
8 Once that was discovered, that's the second bill,
9 they were put on the rate that would apply to
10 that class, that generated the second bill.

11 Q So, what was the incorrect rate that was used in
12 the first bill?

13 A (Boughan) That I'm not familiar with. What the
14 exact rate they were put on that they should not
15 have been on.

16 Q So, there's no indication on the bill what rate's
17 being applied or what class of customer this is
18 being billed? I don't know how to read your
19 bills.

20 A (Davis) If I could, I'm just now looking at this,
21 the details. I see "Rate G" listed for both
22 billing statements at the end here.

23 Q Thank you.

24 A (Davis) Which is our Small General Service rate.

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 Q So, again, are you just saying it was just a
2 plain billing error that created the difference?
3 And, if so, how do we know which is correct?

4 A (Davis) Sorry, I'm not familiar -- go ahead. I'm
5 not familiar with the details of the account
6 history that --

7 A (Boughan) That's correct. I was just relaying my
8 recollection of the account history. I'm not
9 sure if that's correctly or not correctly
10 reflected in these two particular bills.

11 Q Could I maybe ask a data request that the Company
12 read the comments from the Town, and then explain
13 what billing categories were used and what
14 corrections were made? Just so that we can
15 understand, because there are very big
16 differences in the cost, and just trying to
17 understand what the charges are for.

18 A (Davis) I think we should take that. And I just
19 want to comment, I'm also seeing different
20 account numbers, different meter numbers. But I
21 guess that will be part of what we can respond
22 to, and, you know, try to --

23 Q Okay. I was looking at the account number at the
24 top. Are there other numbers? Maybe that

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 explains some of it.

2 A (Davis) Yes. I think it's the same service
3 reference, but the meter numbers are different.
4 So, we can -- we can dive into this and get a
5 full explanation.

6 Q Okay. Thank you.

7 A (Davis) Glad to do it.

8 Q Okay.

9 A (Davis) Yes.

10 SPECIAL CMSR. ROSS: Okay. And what
11 exhibit would that be? What number?

12 CHAIRMAN GOLDNER: It would end up
13 being "31".

14 SPECIAL CMSR. ROSS: That would be
15 "Exhibit 31".

16 (**Exhibit 31** reserved as placeholder.)

17 CHAIRMAN GOLDNER: Well, I'll repeat it
18 at the end, too.

19 SPECIAL CMSR. ROSS: Yes. We'll go
20 over that at the end. I just wanted to assign a
21 number.

22 BY SPECIAL CMSR. ROSS:

23 Q Okay. I think you may have been asked this
24 question earlier, but I'm going to ask, just to

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 make sure I got it.

2 Do you have any idea how many vehicle
3 chargers are installed in your residential
4 customer population today?

5 A (Rice) I don't specifically know that. But I
6 don't know if Mr. Boughan has an estimate?

7 A (Boughan) Yes. I mean, we have an estimate of
8 the number of electric vehicles in our service
9 territory. But we don't have visibility to how
10 many of those have a home charger.

11 Q What do estimate the number of electric vehicles
12 are?

13 A (Boughan) Approximately 5,000, about half of
14 which are fully battery electric vehicles and
15 half of which are plug-in electric hybrids.

16 Q And do you have any idea, in your commercial
17 classes, how many electric vehicle charging
18 facilities are in the service territory?

19 A (Boughan) So, for DC Fast Chargers, yes. That's
20 the nine locations serving, I think --

21 Q Nine locations?

22 A (Boughan) -- that's the exact number. Correct,
23 of DC Fast Chargers. Of the Level 2 locations, I
24 would need to look up.

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 Q Is that readily available? Could you get it
2 later in the hearing or --

3 A (Boughan) Yes. Absolutely.

4 Q Okay. Maybe we can just come back to that.
5 Rather than making it a data request, if you can
6 locate the data before the end of the hearing,
7 that would be helpful.

8 A (Boughan) Of course.

9 Q My next question is on your per customer usage or
10 consumption level. Over the last five years,
11 have you seen any growth in your per customer
12 usage in your Residential class?

13 A (Davis) Boy, I know it was -- I want to say it
14 came down a little bit, but I think, during the
15 pandemic, it increased. So, prior to that, we
16 were seeing one trend, but I think it's come up.
17 And I haven't -- actually, I should look at it
18 again, you know, after 2021. But I would expect
19 it's higher now, for residential.

20 Q Can you give me an order of magnitude percentage?
21 Percentage drop? Percentage increase?

22 A (Davis) I just don't -- I think we're around an
23 average of about 625 prior to that. And I can
24 certainly get a read-in, or, you know, see if I

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 can get something to provide the update.

2 Q So, you're saying "625 percent increase
3 annually"?

4 A (Davis) I'm sorry. That was the usage per
5 customer, for a residential user.

6 Q Oh, I'm sorry, "625 a month". That was your
7 average usage. Got it. Sorry.

8 A (Davis) Yes. It might be slightly higher, but on
9 that order. But I can find out how that --

10 Q Okay.

11 A (Davis) -- what that is last year. And I can try
12 to get that, you know, right away, while we're
13 conducting cross here.

14 Q And the only reason I'm asking is I'm wondering
15 whether the presence of electric vehicles on your
16 system is driving any increased consumption in
17 the Residential class? I'm just kind of curious.
18 I know you probably can't separate it, because
19 you haven't been able to identify where they are
20 or how many chargers there are. But, if you
21 assume for a minute that at least half the people
22 who own electric vehicles charge at home, you
23 might have 2,500 chargers out in the system. And
24 it would be interesting to know whether they have

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 caused some increase in the load or the
2 consumption.

3 A (Davis) I mean, that might be anecdotally, by
4 looking at individual customers, if we knew, for
5 example, earlier we had an exhibit we referred to
6 that had a -- I think, after her home charging
7 assumption, we had I think it was like 280
8 kilowatt-hours. So, if you think about 625, and
9 someone adds an electric vehicle and does
10 substantial home charging, I think those chargers
11 are on the order of 7 kilowatt demand levels, and
12 that, times "X" number of hours in a month,
13 certainly is going to increase the annual -- the
14 monthly consumption well above 625.

15 Q Does your system have --

16 A (Davis) As far as the --

17 Q -- any way to flag a customer, if a customer's
18 patterns change? Is there anything that --

19 A (Davis) I don't know. I mean, we certainly can
20 evaluate bills. And it's a bit of an effort, you
21 know, to pull down the database of a billing and
22 trying to evaluate that, you know.

23 But, beyond that, I'm not sure we have
24 any flags, *per se*. But, you know, if we know of

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 a specific account, that's something we typically
2 are able to do, is kind of do a usage history on
3 a given account, and, you know, maybe it doesn't
4 give you a robust set of data, but it might give
5 you anecdotally what that impact might be for
6 somebody who has added an electric vehicle.

7 Q Okay. Thank you. The reason for my questions
8 was just to try to establish where we are now.
9 Because we're, you know, we're developing rates
10 that may not be used for a while, or may,
11 depending on what the *status quo* is.

12 A (Davis) So, would you like us to do some
13 follow-up or just continue the discussion for a
14 moment?

15 Q I guess what I would like, if you can do it even
16 during the day today, I don't really want to make
17 another record request, but if can get your per
18 customer -- the average per customer usage data
19 for your Residential class over the last five
20 years, I think that might be an interesting data
21 point.

22 A (Davis) Okay. Great. Well, we'll pursue that.
23 Thank you.

24 Q Now, I just have a few questions on the

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 back-office system that you've been talking
2 about. And these go somewhat beyond this
3 particular docket. You gave us a timeframe for
4 New Hampshire of maybe in the next five years
5 that you'd be looking at some sort of overall or
6 replacement of the back-office system. And it
7 sounded like it might be connected with upgrading
8 meters as well. Is that correct?

9 A (Moore) Yes. One of -- the speculation and we're
10 on record of, one of the drivers could be our
11 advanced metering strategy, which would push us
12 towards replacement of our back-end systems,
13 including our customer billing system.

14 A (Rice) I just want to --

15 Q I can't hear you.

16 A (Rice) Can you hear me now?

17 Q A little better.

18 A (Rice) I'll just add to Mr. Moore's response,
19 because this is, I think, an important issue to
20 be very clear on. So, I don't think it would be
21 correct to say that we expect to have advanced
22 meters in five years. So, I don't want the
23 Commission to have that assumption.

24 The Company did agree, in the

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 Settlement Agreement in its last rate case, to
2 conduct a feasibility study into advanced
3 metering. And my understanding is that is in
4 progress.

5 So, we certainly recognize the industry
6 trend is towards advanced metering. And there is
7 a high likelihood that PSNH will have advanced
8 metering at some point in the future. It just --
9 it may not -- it may follow deployment of a CIS
10 in five years, and not necessarily coincide with
11 that.

12 I just don't want to communicate any
13 incorrect expectations.

14 A (Moore) And you're correct, Brian. Typically,
15 when we're looking at the advanced metering
16 deployment, we typically would stage the
17 deployment of our CIS ahead of it, because we
18 can't install the meters, and then change our
19 systems. It's kind of a chicken-and-egg
20 relationship. You have to have those systems in
21 place, like an advanced head-in [sic], a CIS
22 system that can handle that meter, because,
23 during the transition, old to new, you've got to
24 be able to keep the billing for those customers

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 ongoing as you make the transition into the new
2 advanced metering.

3 Q What does "CIS" stand for?

4 A (Moore) "Customer Information System". It's a
5 common term that's used to call together the
6 billing system and the CIS system that typically
7 provides the billing capabilities we're talking
8 about today.

9 Q I want to also suggest that there are several
10 other pending dockets that potentially will place
11 new demands on your CIS system. One of them is
12 the data platform docket.

13 A (Moore) Yes.

14 Q Others might involve the net metering rate
15 dockets. And one of the concerns I have,
16 especially as we're looking right now at
17 time-of-use rates, is that you might not take
18 into account all of the different trends that are
19 taking place, not just in New Hampshire, but in
20 the region. And it would be a shame to pick a
21 CIS system that wasn't scalable and wasn't
22 flexible enough to accommodate some of those new
23 approaches to managing your distribution load.
24 So, --

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 A (Moore) Yes. Absolutely, we can share that. So
2 that, when making a decision on the CIS system,
3 we can and have chosen, you know, a leader in
4 that space that is providing the type of services
5 we believe that will be here in the future, or be
6 scalable to address the needs of the future. So,
7 absolutely, those are big concerns of our
8 selections of our systems. And, also, we measure
9 those systems against, you know, the future
10 capabilities we know of at this point.

11 And, you're right, those are -- those
12 are items that we're aware of.

13 Q You've had some questions during this proceeding
14 about your activities in other jurisdictions.
15 And what I don't understand is why you would have
16 different CIS systems in each of your
17 justifications. So, can you help me with why you
18 wouldn't be moving to some sort of a uniform
19 platform across your affiliates?

20 A (Moore) I think your latter statement is
21 absolutely true. That's our road map, is to
22 consolidate. Like most large utilities, there's
23 been M&A activity that brought companies together
24 that were -- obviously, had different systems,

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 and, over time, may tend to consolidate into
2 standard offerings as the right financial and
3 customer drivers appear.

4 So, just like, currently, we have two
5 legacy CIS systems. One was part of the legacy
6 NU Companies, which included New Hampshire,
7 Western Mass., and Connecticut Gas & Electric.
8 And we also have a CIS system for our customers
9 who are in Eastern Mass., and that also is a
10 legacy system. And, through a merger and
11 acquisition, we were going to inherit another
12 legacy system, but we decided, you know, it was
13 time to move forward on a new CIS platform for
14 the future. And, instead of bringing in a third
15 legacy system, we have now started to lay the
16 foundation of the new CIS system with this latest
17 acquisition.

18 SPECIAL CMSR. ROSS: All right. Thank
19 you. Sorry for the wide-ranging questions. I
20 don't have anything further.

21 WITNESS BOUGHAN: Commissioner Ross, if
22 I may, I do have the number of Level 2 ports in
23 our service territory?

24 SPECIAL CMSR. ROSS: Oh, thank you. Go

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 ahead.

2 WITNESS BOUGHAN: There are 116 sites,
3 totaling 200 ports. And at no site is there more
4 than four ports.

5 SPECIAL CMSR. ROSS: Thank you.

6 CHAIRMAN GOLDNER: Thank you.

7 Commissioner Chattopadhyay.

8 CMSR. CHATTOPADHYAY: Good afternoon.
9 So, feel free to choose whoever is appropriate to
10 answer my questions. In cases where you have to
11 team up, that's fine, too. I'm going to be
12 moving all across the board. And, so, I may jump
13 from one topic to another. So, there is no
14 specific sort of, you know, order in my mind who
15 is going to answer first and who is going to
16 answer next.

17 BY CMSR. CHATTOPADHYAY:

18 Q So, before I forget, because Special Commissioner
19 Anne Ross was asking questions about, you know,
20 the number of vehicles that are out there, and
21 the Company had estimated it's roughly 5,000
22 right now.

23 Can you give me a sense, how did you
24 estimate that number?

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 A (Boughan) Yes. So, this is Kevin Boughan. In
2 the beginning of last year, the Department of
3 Environmental Services provided a list with a
4 number of registered EVs by town in New
5 Hampshire. I think that has been submitted as an
6 exhibit. So, we took that number and estimated a
7 growth rate for this year. So, at that time, it
8 was just under 5,000. And we would estimate this
9 year it would be just over 5,000.

10 Q So, it's not really like you're looking at their
11 usages and sort of -- and estimating that this
12 residence has an EV vehicle there. I mean, it's
13 just based on some data that you had from some
14 other source, and that's what you --

15 A (Boughan) Yes.

16 Q -- you relied on to get the updated estimate?

17 A (Boughan) Correct.

18 Q Okay.

19 A (Boughan) So, we had an exact number from the New
20 Hampshire Division of Motor Vehicles provided in
21 January 2021. We estimated the number
22 additionally this year. And, then, to get the
23 overall, you know, estimated kilowatt-hours from
24 those vehicles, we used an average. We don't

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 have an exact usage number from those vehicles.

2 Q Okay. As a corollary, I think, to the questions
3 that were asked by the Commission previously, is
4 it possible to sort of provide how, over the last
5 few years, and it could be five years, because we
6 already said that, over the five years, how the
7 usage for Residential class has changed, in terms
8 of the distribution?

9 So, can we get a sense of, like, maybe
10 because there are more electric vehicles right
11 now, so, there are more customers that are well
12 above 625 kilowatt-hours per month. And, so, is
13 it possible to get the distribution for the last
14 five years and how it has changed?

15 A (Davis) I don't know if that's something that can
16 be done readily. I assume you want some kind of
17 a frequency distribution in the question?

18 Q Yes. Yes.

19 A (Davis) Yes, that might take a bit of work,
20 because, actually, we have to just source the
21 data, and then conduct a statistical analysis.
22 So, I'm not sure that's readily available. I do
23 understand we're about to receive, and I can
24 provide, the average usage across the class. I

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 can do another inquiry to see what we can do
2 readily, versus sort of the bigger picture. I
3 can check on that and get back to you shortly, if
4 that would help?

5 Q Yes. That would be extremely helpful.

6 A (Davis) Okay.

7 Q So, another question I have, and I'm sort of
8 changing the topic a little bit, not "a little
9 bit", quite a bit, actually. For the load
10 management kind of approach, is that already in
11 place? And I'm not talking about EV, because I
12 thought I understood that that's not in place for
13 EV at all. But I'm trying to understand whether
14 you have residential customers, for whatever
15 purpose, some sort of load management, you know,
16 offers that are already being exploited?

17 A (Rice) Is that question for Massachusetts or all
18 of Eversource's -- or, excuse me, New Hampshire
19 or all of Eversource's operating territories?

20 Q Since you clarified, I think I want to know about
21 New Hampshire, as well as about the rest of the
22 jurisdiction in New England.

23 A (Rice) So, my understanding is the answer for New
24 Hampshire is "no", we haven't yet had opportunity

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 to offer the types of demand management programs
2 that are similar to the Managed Charging
3 proposal.

4 We most certainly have deployed demand
5 management programs elsewhere, in Massachusetts
6 around Connecticut, including in those states, at
7 least Massachusetts, we do have an EV Managed
8 Charging offering presently, I believe.

9 But I'll ask Mr. Boughan to correct, if
10 I've misstated anything.

11 A (Boughan) No. That's correct.

12 Q And is it -- is the data readily available? Can
13 you share what the situation is in Massachusetts
14 and Connecticut? And just to get a sense of, you
15 know, again, if you can provide how, if you have
16 those programs in those states for a while, I
17 would like to know what kind of growth has taken
18 place for that section, for that, you know, kind
19 of offering?

20 A (Rice) Sure. So, would providing customer --
21 annual customer enrollment for each state, and in
22 each respective demand management offering, be
23 responsive to what you're interested in?

24 Q Yes. But can you also describe what those load

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 management programs are? I mean, just to give us
2 a sense of how they might be different across
3 different states.

4 A (Rice) Yes.

5 Q So, --

6 A (Rice) That is going to --

7 Q Go ahead. Sorry.

8 A (Rice) That is going to take some time. So, we
9 would want the opportunity to respond to that
10 through a record request.

11 CHAIRMAN GOLDNER: I'll make that
12 "Exhibit 32".

13 CMSR. CHATTOPADHYAY: Okay. Thank you.

14 CHAIRMAN GOLDNER: We'll make that
15 "Exhibit 32".

16 *(Exhibit 32 reserved as placeholder.)*

17 BY CMSR. CHATTOPADHYAY:

18 Q I'm just trying to confirm, because I don't know
19 much about the technicalities of these, the
20 devices that are used for load management. But I
21 just want to confirm that these do not require
22 additional utility meters. There are -- if any
23 metering is there, it must be embedded, if at
24 all?

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 A (Rice) That's correct. Our demand management
2 programs that are similar to what we're proposing
3 for the EV Managed Charging Program are intended
4 to operate without the need for additional
5 revenue grade metering, and instead utilize the
6 embedded capabilities of customer-owned devices.

7 That may not be necessarily, you know,
8 capabilities that are akin to metering, in terms
9 of having registered -- recorded data, but they
10 utilize the capabilities of the devices.

11 Q When you are talking about devices that are going
12 to be associated with the EV, you know,
13 facilities in EV Load Management offering in New
14 Hampshire, do you expect the meters -- sorry, not
15 the "meters", the devices to be very similar to
16 the ones that you have in Massachusetts and
17 other -- and in Connecticut?

18 A (Rice) Yes. We expect them to be similar. With
19 respect to our ability of our existing or planned
20 distributed energy resource management systems to
21 communicate with those devices. So, we expect
22 that we'll be able to communicate and control a
23 customer-owned EV charger, in the same way, for
24 example, and using the same types of resources,

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 that we use to control a networked thermostat.

2 Q Okay. Are there multiple companies providing
3 those devices or, so, you have like just a few
4 that are in that business?

5 Let me put it differently. Are there a
6 lot of companies that are involved in providing
7 those devices or do you have just a few?

8 A (Rice) I don't know what would constitute "a lot"
9 or "a few". There are certainly multiple.

10 Q Yes. How about anything less than five or
11 inclusive of five is "few", and more than that is
12 more, you know, "quite a bit"?

13 A (Rice) I don't know the specific number. I
14 expect, though, if you wanted us to provide more
15 information, again, through a record request, we
16 could provide you counts of the quantity of
17 vendors that provide devices that we're able to
18 utilize in our programs.

19 Q Is it possible for you to provide the
20 specifications of those devices, you know, at
21 least for the ones that are commonly used? So
22 that we have a better sense of what those devices
23 do, including whether they can actually also
24 handle measuring the -- the use of

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 kilowatt-hours, rather than just sort of having
2 the ability of, I think you used the term
3 somewhere, "throttling" and "scheduling", maybe I
4 don't fully understand it, but is that like "on
5 and off"? Is that what you meant there?

6 And, so, what I'm trying to understand
7 is, can we get specifications on the devices?
8 And they should be complete, meaning they would
9 also let us know whether they can be adjusted to
10 have kilowatt-hours measured as well.

11 A (Rice) Yes. We'd be happy to look for or pull
12 specific technical data on the devices, if that's
13 what you want?

14 I will say, and I'm comfortable saying,
15 with respect to EV chargers, I do expect that
16 most of the equipment in the market, and the
17 types of devices that would be able to
18 participate in our program and be turned on and
19 off, based on a dispatch signal from the utility,
20 would also collect and kind of save charging data
21 on an interval basis. And ChargePoint, earlier
22 in the week, certainly indicated that their
23 chargers have that capability. So, I expect the
24 answer on that kind of specific capability

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 specification would be "yes".

2 Q And you may not know the answer, but I'm going to
3 ask anyway.

4 CHAIRMAN GOLDNER: Sorry, Commissioner.
5 I just want to make sure I have the record
6 request.

7 CMSR. CHATTOPADHYAY: Sorry. Go ahead.

8 CHAIRMAN GOLDNER: I just want to make
9 sure, are you asking for just the EV charging
10 meters or interval meters or kind of the standard
11 meters? Is it the whole array you're looking for
12 or just the EV?

13 CMSR. CHATTOPADHYAY: I think it's
14 obvious -- I would stick with just the EV.

15 CHAIRMAN GOLDNER: Okay.

16 BY CMSR. CHATTOPADHYAY:

17 Q Is it -- does the Company know, and I'm not sure
18 whether you would be able to answer this, but,
19 with the additional ability to measure
20 kilowatt-hours interval, you know, based on
21 intervals, do you have a sense of what those --
22 what the costs are, relative to what you have in
23 mind or what was proposed as what you're going to
24 be offering as part of the load management

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 scheme?

2 A (Rice) So, is your question, have we estimated
3 the costs to utilize third-party chargers in lieu
4 of utility-owned metering to bill a EV
5 time-of-use rate?

6 Q Well, it could -- yes, we are going there. But
7 I'm just -- first, I want to understand whether
8 just having a meter from a third party -- sorry,
9 not a "meter", a device that allows you to go off
10 or on only, as opposed to having that same
11 third-party provider provide a device that also
12 allows measuring kilowatt-hours for intervals, is
13 there a cost differential between those devices?
14 That's the first level of question I have.

15 And, then, the second one, that, I
16 mean, obviously, would require some assumptions.
17 So, I'd like to, since you already mentioned it,
18 I would like to know, and that was the one of the
19 questions I had later, but I'm not sure how to
20 frame it fully.

21 So, I would say, because we have
22 mentioned it already, let's think in terms of
23 two-period TOU, okay, and I would like to
24 distinguish between, and just correct me if I

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 have this wrong, for New Hampshire, the OTOD,
2 right, I'm trying to understand, you had -- so,
3 the energy piece isn't, you know, time-variant,
4 right? Just isn't that correct?

5 A (Davis) That's correct. Yes.

6 Q Okay. So, what I would like to have a sense of
7 is, you know, whether you can -- what kind of
8 cost you would be incurring if you went for that
9 approach, with two-period TOU, without the energy
10 being variant, as well as an alternative or a
11 sensitivity where you have even the energy piece
12 is time-variant? And I'm only focusing on EVs,
13 so that's understood, because that's the
14 discussion that I'm in right now. And can we get
15 a sense of the cost?

16 So, this might also require a little
17 bit of time, should I guess that?

18 A (Rice) Yes. I think there are a number of
19 questions on the table. So, I'll do my best to
20 address them one at a time. And my colleagues
21 may help me.

22 So, to start with, I understood the
23 first question to be whether a charger that can
24 record and save and transmit interval data is

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 more expensive than a charger which might only
2 have the ability to be turned on or off by the
3 utility? And I think we can address that in the
4 prior record request, where we've been asked to
5 provide information on the specifications of that
6 equipment.

7 But my expectation is that there is not
8 a cost difference, because the majority of
9 devices presently on the market already do both.

10 And, then, the -- so, is your next
11 question getting at what the incremental cost to
12 offer a two-period separately-metered rate,
13 following a similar structure as the Residential
14 OTOD rate would be? Again, just having
15 time-varying generation and -- or, excuse me.
16 Maybe I guess I'll ask you to clarify your
17 understanding of which rate components would be
18 time-varying on a two-period structure?

19 Q I was just reacting to what I understood. So,
20 for the New Hampshire, as I understand it, the
21 time-variant components are transmission and
22 distribution, and correct me if I'm wrong. So,
23 I'm saying I want to see that.

24 But, then, I'm also going for another

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 sensitivity, and I can call it a "variant", but
2 that term, I've been using it for other purpose,
3 so I don't want to confuse folks. And, then, you
4 can also do the same thing, but have the energy
5 piece also be, you know, variable for the two
6 periods. And that's what I meant, that that
7 required some sort of assumption going in, and,
8 you know, sort of how you were going to do it.
9 That would be good for me at this point. That
10 may not require -- it's not about cost, it's
11 more -- you know, so, I want to get a sense of
12 the cost of it, and the ability to do it. So,
13 your answer might end up being "Doesn't matter
14 which TOU approach you choose, the cost to
15 implement them would be similar." But I'm just
16 trying to get a sense.

17 A (Rice) And, so, I think what we've tried to
18 previously explain, and these are great
19 questions, and Mr. Davis and Mr. Moore may have a
20 perspective as well, but we talked about two
21 other examples that the Company currently offers
22 across New England.

23 The first example is the Residential
24 OTOD rate in New Hampshire, which you described

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 correctly. The other example that we talked
2 about is Rate 7 in Connecticut, which also has --
3 is time-varying with two periods, peak and
4 off-peak. But that example, it is the supply and
5 the transmission rates that are time-varying.

6 A (Moore) Yes.

7 A (Rice) Correct, Ed?

8 A *(Witness Davis indicating in the affirmative).*

9 A (Rice) And the distribution component remains
10 fixed. So, with both rates, they're both
11 two-period. They both vary some, but not all,
12 rate components. And we've indicated that an EV
13 time-of-use rate modeled on either of those
14 examples would be the lowest cost for the Company
15 to implement at this time, you know, if the
16 Commission, you know, hypothetically, wanted to
17 make some EV time-of-use rate option available,
18 and had a desire to the use the lowest cost
19 solution that could be implemented.

20 Making, I think, the next leap is
21 having a peak two-period varying, a peak/off-peak
22 rate, that, unlike the two prior examples, had
23 time-varying pricing for all rate components, is
24 something that would be, you know, the next step

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 up in costs to implement.

2 Q Okay. So, and based on my reconciliation, you
3 had initially, in the morning, there was some
4 discussion about the enterprise system and, you
5 know, at the back-end, what kind of stuff needs
6 to be done. So, what I understood was that
7 adding the third piece, and I wasn't clear for
8 which example, but adding the third piece,
9 probably the energy piece, is going to add a
10 whole lot of cost.

11 And, so, regardless, I'd like to have
12 an estimate from the Company what the cost would
13 be?

14 A (Rice) Understood. And I think we'll have to
15 answer that through a record request.

16 Q Okay.

17 A (Rice) Correct, Dennis? Mr. Moore?

18 A (Moore) If I understand the question, once again,
19 we provided an estimate as it relates to having a
20 complete three time-varying rate structure,
21 inclusive of the supplier piece. Is there a --
22 what's the difference in this request, so I can
23 just mete out the question a little further?
24 What's the difference between that and the

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 original \$9.1 million estimate we provided?

2 A (Rice) I understand the difference is that it
3 would be just peak and off-peak, instead of peak,
4 mid-peak, and off-peak.

5 Q Right. So, that was -- I wasn't sure whether you
6 understood that aspect.

7 A (Moore) Okay. So, peak --

8 Q So, it's going to be still peak, off-peak, and
9 then what would be the cost to implement the
10 rates? I think I heard "Rate 7", that's there in
11 Connecticut, I'm assuming, and then what you have
12 in New Hampshire, OTOD Residential, that kind of
13 structure, you know, with the components being
14 those. And the third one, I don't -- I mean, I
15 just want to know what will happen if you were
16 tweaking the New Hampshire approach to also have
17 time-variant energy component? Okay? That's my
18 question.

19 A (Davis) And let me jump in please. I want to
20 just -- so, on that last segment, --

21 Q Yes.

22 A (Davis) -- it looks like the end game is to get
23 to a -- we already covered the three-period
24 time-of-use. But, for a two-period, peak and

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 off-peak, the objective is "what would it take to
2 get to the two-period time-of-use rate, where
3 distribution, transmission, and generation are
4 all time-variant?" And there were two paths that
5 we've discussed. One is take the Connecticut,
6 which has transmission and energy supply already
7 time-varying, and then you would have to modify
8 the distribution to get to that objective. Or,
9 take the current New Hampshire Rate R-TOD, which
10 is transmission/distribution currently, and
11 modify the generation piece to get to the same
12 objective.

13 Q Correct.

14 A (Davis) And, to clarify, one caveat is, and for
15 the generation piece, we talked about this
16 earlier, are we looking at just so-called
17 "default service" for the generation piece, as
18 opposed to competitive supply?

19 Q I would be satisfied just with the default
20 service right now.

21 A (Davis) Okay. And that's a critical piece of
22 information.

23 A (Rice) I also just want to provide one additional
24 piece, a perspective. So, the cost estimate that

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 we filed for the three-period separately-metered
2 rate of \$9 million, approximately, in our initial
3 filing, we developed that by, you know, having
4 our IT personnel go through a high level, but
5 still fairly robust, requirements process to
6 generate robust estimates.

7 We're not in a position, it would be a
8 tremendous amount of work to replicate that for
9 three additional potential solutions. And, I
10 mean, the Company has indicated these are other
11 approaches that are out there. We have not, you
12 know, we didn't ask our personnel, we didn't use
13 our staff to price out these additional estimates
14 at this time, because, frankly, I think
15 Eversource recognized that the impact to the
16 customer is likely to be the same in all three
17 scenarios. Some are going to be less expensive,
18 some are going to be in the middle. But our
19 understanding, just based on the rate design, is
20 you're still left with an outcome, in all of
21 these four scenarios, in which, you know, it's
22 likely that most EV customers may not realize a
23 significant amount of savings by rolling in any
24 of these rates that we might offer.

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 So, that's why the Company kind of
2 hasn't yet gone through the process of pricing
3 out a bunch of different scenarios. We're happy
4 to do so for the Commission. But I think what
5 would -- the only thing that we can provide back
6 are going to be order-of-magnitude estimates.
7 So, I just want that to be clear.

8 Q The way we look at the data, I think I would be
9 elated if I get even order-of-magnitude data.
10 So, I mean, it's -- so, I would urge you to
11 respond at least keeping that in mind. So, I'm
12 not seeking -- I'm not trying to make things
13 difficult here. I just want to get a sense of
14 what those options mean, because, yourself,
15 has -- at least the Company has indicated in the
16 testimony that the cheapest option, if you go to
17 TOU, would be two-period, you know, for those two
18 alternatives that you have discussed in your
19 testimony.

20 So, I'm just trying to get a sense of
21 what that means, in terms of costs for the
22 ratepayers.

23 CHAIRMAN GOLDNER: Commissioner, before
24 we move on, let me just make sure I've captured

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 this. And I'll repeat this back at the end, too.

2 So, this will be "Exhibit 33". And I
3 want to make sure that I've captured your
4 request. So, if you could repeat it back, and
5 making sure that we're clear on whether these are
6 two-period or three-period requests. If you want
7 to repeat it back, I'll write it down.

8 SPECIAL CMSR. ROSS: I think it's 34.

9 CHAIRMAN GOLDNER: No, I crossed out
10 the prior, yes.

11 SPECIAL CMSR. ROSS: Oh. Okay.

12 CHAIRMAN GOLDNER: I included it in 29.

13 CMSR. CHATTOPADHYAY: So, do you want
14 me to repeat it now?

15 CHAIRMAN GOLDNER: Yes, please.

16 CMSR. CHATTOPADHYAY: Okay. And my
17 thinking has evolved a bit because, from the
18 back-and-forth, it's helped me to reach some
19 other conclusion.

20 So, the Commission would like to get
21 the cost estimate for implementing the Rate 7 TOU
22 two-period approach, okay, as well as the R --
23 sorry, the Residential R-OTOD approach? So, you
24 know, we all know that though the components are

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 looked at differently for those two, but I'm just
2 trying to get an estimate for the cost there.

3 Number -- and, then, there's a variant
4 that I'm looking for, which is what happens if we
5 also allow the energy component in the New
6 Hampshire approach to be variant as well, but I
7 still want to look at the two-period TOU cost
8 estimate?

9 CHAIRMAN GOLDNER: So, Commissioner, I
10 just want to make sure I have this. So, to Rate
11 7 TOU two-period, Rate OTOD, is that a two-period
12 or three-period?

13 CMSR. CHATTOPADHYAY: That is a
14 two-period as well right now.

15 CHAIRMAN GOLDNER: Two-period. And,
16 then, the final one was the New Hampshire
17 time-variant, default service, two-period?

18 CMSR. CHATTOPADHYAY: Yes.

19 CHAIRMAN GOLDNER: Okay. Got it.

20 *(Exhibit 33 reserved as placeholder.)*

21 CMSR. CHATTOPADHYAY: For the last one,
22 it's an add-on on what is already there for the
23 Residential OTOD.

24 Okay. So, can I proceed?

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 (Chairman Goldner indicating in the
2 affirmative.)

3 CMSR. CHATTOPADHYAY: Yes. Just bear
4 with me, I have to -- my computer has to turn on
5 again. It will be quick.

6 CHAIRMAN GOLDNER: And, while you're
7 getting back online, Commissioner, these were
8 sort of order-of-magnitude requests. So, you
9 know, they will be something less than 9 million
10 and something greater than zero kind of thing,
11 right?

12 CMSR. CHATTOPADHYAY: Correct. Yes.

13 CHAIRMAN GOLDNER: Okay. Very good.
14 I'll make a note.

15 BY CMSR. CHATTOPADHYAY:

16 Q So, if you go to Exhibit 4, it's Bates Page 008,
17 Lines 18 through 20. So, I'm going to go there
18 as well.

19 So, you discuss, you know, you say
20 "There are also additional factors that would
21 likely prevent the Company from replicating the
22 quality, accuracy and security of billing data
23 from utility-owned metering with alternative
24 third-party devices."

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 I think you do describe some things
2 later, but it wasn't 100 percent clear to me
3 whether those were exhaustive, or did you have
4 other factors that you haven't mentioned, but you
5 want to share them? So, that's a question for
6 you.

7 A (Rice) Yes. At the direction of Commission
8 Staff, Eversource did outline all the steps and
9 criteria that we felt would be appropriate to
10 comprehensively assess the feasibility of an
11 alternative metering solution. We talked about
12 one previously, which is compatibility with the
13 Company's interval data management system. But,
14 if you go to -- let me pull up the right -- it's
15 Exhibit 13, Bates Page -- Bates Page 020 through
16 021, outlined the other factors that we believe
17 are important to consider. I think we kind of
18 talked about meter communications and
19 compatibility with MV90, and it's important for
20 that.

21 Q Yes, you're fading away a little bit, but I can
22 see the listing there. So, that's helpful.

23 A (Rice) I think, is that better? I think I may
24 have inadvertently had my hand over the

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 microphone.

2 Q Slightly better.

3 A (Rice) Okay. I'll shout to the computer.

4 Q Way better. Way better now.

5 A (Rice) Okay. So, meter quality is one. You
6 know, we've talked about examples at other
7 utilities that have implemented solutions that
8 utilize charger data, Baltimore Gas & Electric
9 and Xcel Energy, in Minnesota, are two of those
10 examples. I will note that, in both of those
11 cases, the utilities did have to get waivers from
12 existing metering rules to implement those
13 solutions. And Eversource would likely have to
14 do the same in New Hampshire, with respect to the
15 PUC's 300 rules. It's our understanding that
16 they would -- that the available chargers, even
17 if they comply with NESC standards, they may not
18 comply with the ANSI requirements for revenue
19 grade metering, which are included in the PUC's
20 300 rules, as well as potentially other
21 requirements.

22 And, then, the meter access and data
23 integrity is an important one. You know, I'm not
24 a -- we have people smarter than I who know a lot

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 more about meters. And one thing that I
2 appreciate, when they talk to me, is, when we
3 don't necessarily have the same ability to access
4 the data -- or, the device, particularly when we
5 don't necessarily have the documentation or the
6 firmware for the device, because it's not a
7 device that we own and operate, it can create
8 troubleshooting and resolving issues more
9 challenging. And the customer calls us up, they
10 don't think their bill is right. You know, we go
11 to do that investigation, we're now not just
12 investigating, you know, company-owned equipment
13 and systems and an end-to-end solution. You're
14 introducing another piece of equipment into that
15 solution, which we don't have as much experience
16 with, we don't have as much access to or insight
17 into, and that can create in troubleshooting
18 those issues more challenging.

19 Q Thank you. And I'm not sure whether it's the
20 utility, or maybe something like maybe
21 ChargePoint might be able to better answer this
22 question, because I don't have an EV personally,
23 I just want to understand. Let's say somebody is
24 interested in buying an electric vehicle. So,

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 they're going to go to some dealer, and maybe
2 it's not a dealer, Tesla I heard that they do it
3 themselves. So, what happens from the beginning,
4 like from -- I'm using "dealer", within quotes,
5 you go to the dealer, you buy a car. They give
6 you a device. Just want to understand what the
7 process is, to ultimately have the device put in
8 your home that helps them charge the car?

9 So, if you are -- if you think that
10 this is not your wheelhouse, then I'm going to
11 ask that question to others. But it would help
12 me if somebody responds and gives me a sense.

13 A (Rice) Mr. Boughan is probably familiar with the
14 process, as a result of being involved with some
15 of the Eversource make-ready programs, where
16 we're installing that type of infrastructure for
17 customers.

18 A (Boughan) Sure. So, it really depends on which
19 OEM and what they're selling with the vehicle.
20 But, in general, if you were to buy an electric
21 vehicle, most of them today come with a dumb
22 charger, so, a basic Level 2 connector. You
23 would still need, at that point, to get an
24 electrician, most likely, unless you already have

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 one in your garage, to still a 240 volt plug or
2 to hardwire a smart Level 2 charger, which you
3 would need to purchase, and they're available for
4 purchase at Home Depot.

5 That's the basics of what would need to
6 happen. They all come with a non-smart device,
7 which you could plug into any 240 volt plug that
8 you'd likely, again, need to get an electrician
9 to install that in your garage, unless you
10 already had it. I hope that answers.

11 Q Yes. That's good. So that -- but that L2
12 device, if it's a smart device, how is it
13 different from the other one that you said, you
14 know, it's not smart? So, what I'm trying to get
15 at is, do those devices allow, you know,
16 electricity going both ways? And probably that's
17 way too much at this point, but I'm trying to
18 understand. What do they do?

19 A (Boughan) Yes. Sure. So, at this point,
20 bidirectional charging is limited to a single
21 electric vehicle. It's really -- the Nissan Leaf
22 is the only vehicle that can really do
23 bidirectional charging at this point. It would
24 be exceedingly rare for someone to have -- well,

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 I guess the Ford F-150 is the latest one that I
2 guess can also do bidirectional charging. For
3 the most part, they're not available on vehicles.
4 And, for the most part, most residential
5 customers would not have a bidirectional charger
6 installed in their home.

7 The difference between a, you know,
8 smart charger and a dumb charger is that the
9 smart charger, as we discussed, can measure
10 kilowatt -- kilowatt-hour usage, can be
11 scheduled, you can program it to schedule your
12 vehicle whenever you'd like it to, versus a dumb
13 charger is really just a plug into a wall.

14 Some vehicles you can do the same
15 functionality that's available on the smart
16 charger from your vehicle. So, that's vehicle
17 telematics. So, you could schedule the charging
18 through your car on a dumb charger. But the
19 difference between the two types of chargers is a
20 smart charger and a not smart charger.

21 Q Thank you. That helps. So, on deploying load
22 management, I want to understand, like you have,
23 you know, customers who are willing to be part of
24 that program. Now, when you are trying to manage

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 peak hours or peaks and you're trying to reduce
2 the cost, do you sort of choose which customer
3 you're going to now ask to go off? Or, is it
4 like all of them will be going off, and on? I'm
5 trying to understand that.

6 A (Rice) I think, initially, the expectation is
7 that all customers would likely be curtailed at
8 the same period, for eight hours, you know, every
9 day in the summer. And that period would likely
10 overlap with the peak periods that the
11 time-of-use rates are seeking to encourage
12 customers to shift charging away from.

13 You know, as the program -- as we learn
14 more, and if the program gets larger, and we feel
15 that there are opportunities to further optimize
16 that load management, by, you know, having some
17 customers in one tranche and another customers in
18 another tranche to kind of stagger charging, to
19 potentially target a secondary peak, then we
20 would seek to do so. But, initially, yes, I
21 think it's fair to assume that we would start
22 with curtailing all customers at roughly the same
23 period.

24 Q Do you agree that there might be some localized

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 situations where it would be great to have the
2 ability to say "okay, herein I'm not going to now
3 allow them to charge, because it's going to cause
4 problems for the grid, but I'm going to let
5 others who are in the rest of the part of the
6 grid, you know, that they could still continue
7 doing it"? Can that kind of flexibility be
8 introduced in the future? Is that something also
9 you have thought about or at least you have in
10 mind?

11 A (Rice) Absolutely. Yes. You know, if we found
12 opportunities, we would take advantage of having
13 the flexibility to address them.

14 Q So, if you go to -- just a moment. I'm just
15 looking at the list of my questions. Some of
16 them, I have to admit that Department of Energy's
17 questions were excellent. They helped me get the
18 answers to a lot of them. So, anyway, I'm
19 thinking through it. Just bear with me.

20 So, if you go to Exhibit 13, I think it
21 was 13, let me go there. And I'm guessing it was
22 Bates Page 023. Yes. You're all there?

23 A (Davis) Yes.

24 Q So, you know, you mentioned all of these models,

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 EVSE models, "VE Supercharger" -- sorry, "V3",
2 "V2 Supercharger", and then "Express 100", and
3 then "Express 100" again.

4 So, is it possible to give us the
5 specification of those models? And I'm also
6 curious whether, in Massachusetts and
7 Connecticut, the universe of the models is
8 larger? And, so, there might be other models
9 that are also important when you think in terms
10 of expanding the use of, you know, charging going
11 forward.

12 So, I'm trying to -- so, my question,
13 and this is going to be a record request, I would
14 love to see the specifications associated with
15 those models, including the ones that are
16 commonly used in Mass. and CT.

17 SPECIAL CMSR. ROSS: Just a
18 clarification. I thought you requested the
19 specifications in the earlier record request?

20 CMSR. CHATTOPADHYAY: I actually did.
21 I did. So, thank you. I had already -- that's
22 one of the record requests.

23 SPECIAL CMSR. ROSS: I think it's
24 "Exhibit 29" now.

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 CMSR. CHATTOPADHYAY: Okay.

2 SPECIAL CMSR. ROSS: And it should --
3 it should include the commonly used equipment in
4 New Hampshire, as well as in the surrounding New
5 England states.

6 CMSR. CHATTOPADHYAY: So, I think what
7 you are clarifying here is that it's possible in
8 that list something get -- drops out, and you
9 want to make sure that's included, if it's in New
10 Hampshire. That's what you're saying?

11 SPECIAL CMSR. ROSS: Yes.

12 CMSR. CHATTOPADHYAY: Yes. Thank you.

13 WITNESS BOUGHAN: So, just to clarify,
14 you previously asked for the specifications for
15 residential chargers.

16 CMSR. CHATTOPADHYAY: Okay. So, that's
17 why there is a difference. So, this is an
18 additional --

19 WITNESS BOUGHAN: Yes.

20 CMSR. CHATTOPADHYAY: Okay.

21 WITNESS BOUGHAN: Now, you're asking
22 for Level 3 chargers that are --

23 CMSR. CHATTOPADHYAY: Yes. I'm asking
24 for -- sorry.

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 WITNESS BOUGHAN: You're asking for
2 commercial? Sorry.

3 CMSR. CHATTOPADHYAY: Yes.

4 WITNESS BOUGHAN: Okay. And I'm sure
5 it's coming. Are you asking for the
6 specifications for Level 2 chargers that are
7 commonly used by commercial customers?

8 CMSR. CHATTOPADHYAY: No. As I thought
9 through it, of course, I've been asking questions
10 on different aspects, so, I lost the thread. But
11 these are really for the high-draw facilities.

12 WITNESS BOUGHAN: Okay.

13 CMSR. CHATTOPADHYAY: So, that's what I
14 want to know. So, this is an additional record
15 request.

16 BY CMSR. CHATTOPADHYAY:

17 Q Just quickly, explain what is "throttling" and
18 "scheduling"? Is that the "on" and "off"?

19 A (Boughan) So, Brian, I can take this one.

20 So, "throttling" would be if you want
21 to reduce the power that the charger is drawing.
22 So, for example, if a residential Level 2 home
23 charger could take, say, 6 kilowatts, you would
24 throttle it down so that it could only take 3.

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 Q Okay.

2 A (Boughan) "Scheduling" is where you know that the
3 car needs a certain charge by 6:00 a.m. But the
4 driver is indifferent to the time in which that
5 battery gets filled. So, you could either charge
6 it from 9:00 to 12:00, or 12:00 to 3:00, or 3:00
7 to 6:00, or you could charge it for an hour at
8 9:00, an hour at 12:00, an hour at 3:00. And
9 "scheduling" means you can optimize across all
10 the assets that you have visibility in, to make
11 sure that you're achieving your end goal,
12 whatever that is.

13 So, whether it's to have a smooth
14 charge across the entire system or to have a
15 specific, you know, target for, say, a
16 neighborhood. So, that's "scheduling".

17 Q So, is that possible in the Load Management
18 proposal that you have right now? Is throttling
19 and scheduling possible with the load
20 management -- go ahead. Sorry.

21 A (Rice) Yes. We believe it will be possible.

22 Q Are you -- is your proposal that you're going to
23 use it?

24 A (Rice) If there are opportunities to use

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 throttling and scheduling to add value, then, we
2 will -- yes, we will execute those opportunities.

3 Q But that would still be implemented for all of
4 the, you know, participants at the same time?

5 A (Rice) Not necessarily. I think, when you get
6 into those solutions, they're intended to create
7 opportunities to maybe optimize a certain portion
8 of the distribution system, where there may be a
9 certain portion of the total number of
10 participants.

11 Q Yes. My question was, like you had explained a
12 while ago that, initially, you're, you know, sort
13 of proposing that the program, the Load
14 Management Program, could be something that's
15 going to be on and off for everyone at the same
16 time. And this sounds like you are open to the
17 considerations that I had raised previously. So,
18 I'm trying to address the grid situation in local
19 areas, and sort of using throttling and
20 scheduling to the advantage of running a more
21 efficient grid.

22 A (Rice) Absolutely. Yes.

23 Q Okay.

24 A (Rice) That is our ultimate goal. I just want to

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 be clear, you know, we need information to do
2 that effectively that we don't have right now.
3 And we won't even have probably on day one.

4 Q Okay.

5 A (Rice) But, on day one, it's most likely that
6 you're going to be, you know, putting all --
7 you're going to be treating all customers
8 similarly. But, as you get more information, and
9 you identify more opportunities, then you start
10 to execute those more sophisticated solutions.

11 Q Very quickly, if somebody knows. Just out of
12 curiosity, I can also spend some time later and
13 figure this out, but what is the current
14 on-peak/off-peak ratio associated with the
15 Residential OTOD offering?

16 A (Davis) Give me a minute. I'll give it to you
17 just in a second.

18 MR. BUCKLEY: I can note that, at
19 Exhibit 13, Bates Page 011, it shows that, the
20 kilowatt-hour at least. You can deduce the
21 ratio.

22 CMSR. CHATTOPADHYAY: Okay. You said
23 "Exhibit 13", Page what?

24 MR. BUCKLEY: Bates Page 011, I think.

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 CMSR. CHATTOPADHYAY: Bates Page 011,
2 okay. Thanks. That's all I have for now. Thank
3 you.

4 WITNESS DAVIS: Hey, this is Ed. I
5 wanted to respond to the two earlier questions
6 about the five years of data.

7 And, so, I can provide -- readily
8 provide the average usage per customer for each
9 of the last five years, this is residential. And
10 we believe, with a few days' effort, we should be
11 able to pull together a frequency distribution
12 around those amounts.

13 CMSR. CHATTOPADHYAY: Excellent.

14 WITNESS DAVIS: I don't know of the
15 timeframe of this, but maybe that's a procedural
16 thing later, but would you like us just to read
17 those in, the five averages? Or, what's your
18 preference at this point?

19 SPECIAL CMSR. ROSS: I would appreciate
20 the five averages now. That would be helpful.

21 WITNESS DAVIS: Okay. So, I have 2017
22 through 2021. And this is a little unusual, but
23 the average is -- the average residential usage
24 is as follows, respectively: 592, 621, 598, 629,

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 and 628.

2 I also note, there is growth in
3 customers each year by about 1 percent. But
4 these numbers, they kind of go up, and then drop,
5 and then go back up again. But what you're
6 really seeing is -- I think is a bit of an
7 anomaly with 2018. But, on average, you saw a
8 pretty significant increase in 2020. It went
9 from about 600 to about 630, and stayed there for
10 two years. So, I think that's sort of the impact
11 largely of the pandemic, and higher, as I would
12 expect, residential usage. Because I think it
13 was trending down a little bit, or at least at a
14 lower level, it was, on average, there at a lower
15 level, and then it jumped, you know, over 5
16 percent, and stayed there for two years.

17 SPECIAL CMSR. ROSS: Thank you.

18 WITNESS DAVIS: And, then -- you're
19 welcome. And, then, I think the frequency
20 distribution will give a better insight into, you
21 know, what's happening. And we're going to do --
22 I think we're trying to do 100 kilowatt-hour
23 blocks, so that should give you a good story of
24 how that distributes around those averages.

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 CMSR. CHATTOPADHYAY: Yes. That was
2 the intent. So, thank you.

3 WITNESS DAVIS: Okay. You're welcome.

4 CHAIRMAN GOLDNER: Okay. Just from a
5 time perspective, I think what we'll do is I'll
6 go through a questions from the Chair, and then
7 we'll move to Ms. Chiavara for redirect, and then
8 take a break. I don't have too many questions.

9 BY CHAIRMAN GOLDNER:

10 Q So, first, I'd like to go to Exhibit 4,
11 Bates 028. There's a very nice table there,
12 Table 1, that talks about the budget and enrolled
13 customers for the Load Management Program.

14 And I would just like to confirm or
15 maybe get the Eversource ask. You know, what is
16 your ask? Are you saying that, in order to
17 implement the Load Management Program, you need
18 between a million and a million four, plus 200K
19 in EM&V, and that's what you need to sort of
20 launch this with a five-year time horizon? Is
21 that correct?

22 A (Rice) Let me just get to the table myself.

23 Q Sure. It's on Bates 028, Exhibit 4. I'm looking
24 in the blue box in the lower right-hand side,

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 under "Total", for the five-year total.

2 So, in that box, it says it's between
3 985K and 1.4 million. And, in the footnote, it
4 talks about "EM&V costs", which above are
5 estimated at about 200K. I just want to --

6 A (Rice) Yes. Just to --

7 Q Yes. I'm just trying to validate your ask.
8 That's all. Go ahead.

9 A (Rice) So, just to quickly clarify, while on the
10 subject of EM&V costs, we're actually not
11 proposing to conduct EM&V for this program. So,
12 we -- our proposal wouldn't be to recover that
13 200K. But that is unusual for these types of
14 programs. Usually, they're executed within the
15 context of a energy efficiency program, and EM&V
16 would apply and would be recommended.

17 But, because we're really proposing it
18 here as an alternative to a separately-metered
19 time-of-use rate, we felt it reasonable to omit
20 the EM&V component just as a cost containment
21 measure.

22 So, the ask is correct, you know,
23 for -- if we were to -- if you wanted us to
24 implement this as a means of encouraging

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 customers to shift charging activity, the ask
2 would be for us to be able to defer and
3 ultimately recover on the --

4 [Court reporter interruption due to
5 audio issues.]

6 **CONTINUED BY THE WITNESS:**

7 A (Rice) Okay. The ask would be to defer these
8 costs and --

9 [Court reporter interruption due to
10 audio issues.]

11 **CONTINUED BY THE WITNESS:**

12 A (Rice) Okay. The ask would be to be able to
13 defer these administrative and incentive costs
14 and recover them at a later point, following the
15 Company's next rate case, is generally how it
16 would work.

17 BY CHAIRMAN GOLDNER:

18 Q Okay. Very good. I was responding to Exhibit 4,
19 Bates Page 013, and that clarifies what it says
20 there. You talk about that these "EM&V
21 activities may be appropriate but are not
22 included in any budgetary estimate at this time."

23 So, I didn't know if that meant that it
24 would be included when it flipped on line or

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 whether you were going to exclude it? And it
2 sounds like you're going to exclude it. So,
3 thank you for the clarification.

4 So, going back to the table, I just
5 wanted -- am I reading that correctly, that's
6 your ask today, is if you get between a million
7 and a million four, you could proceed with this
8 program?

9 A (Rice) That's correct. And, again, we're
10 proposing this because we actually think this is
11 the most effective way that we can get the
12 highest volume of EV customers to take actions to
13 shift their load in the near-term. You know, we
14 could spend our money instead to make EV
15 time-of-use rates available. It would be a lot
16 more than this, as we have noted, for a
17 three-period EV time-of-use rate. It could
18 potentially be less than this for a different
19 type of EV time-of-use rate structure. But a
20 concern that Eversource has is, regardless of how
21 much money we spent to implement some sort of
22 separately-metered EV time-of-use rate, we may
23 not ultimately have a high number of customers
24 that enroll in it.

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 We do think, if we were able to offer
2 this, we would have customers enrolled, and we
3 would be able to get them to change their
4 charging activity.

5 Q Yes. Understand. Thank you. So, I just want to
6 do some quick cost-benefit analysis. So, I took
7 something between a million and a million four,
8 and let's call it a million two, divided it by a
9 thousand, the number of customers, and quickly
10 determined we're talking about \$1,200 per
11 customer. So, that part is easy.

12 But, you know, I couldn't find in the
13 filing anywhere, and maybe it exists and I just
14 didn't see it, can you point me to the quantified
15 benefits, you know, the lowering of peak load,
16 *etcetera*? Is that anywhere in the filing? Can
17 we compare the cost to the benefit anywhere?

18 A (Rice) We didn't include it in our initial
19 filing. But I will save you the question, and
20 we'll freely admit that, if we were to compare
21 the costs to any benefit estimate, just for this
22 program and these 1,000 customers, our
23 expectation is the costs would be greater than
24 the benefits. But we put this forward as an

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 option for the reasons that we already discussed
2 previously. Because we don't necessarily think
3 that a separately-metered EV time-of-use rate, if
4 we looked at the costs and benefits, would be any
5 much -- much better. Maybe the costs would be
6 lower for a basic rate. But, if you didn't have
7 customers enrolled in it, you wouldn't really be
8 able to attribute many benefits to it either.

9 Q Okay. Don't worry, I have some ideas for cost
10 savings.

11 If you look at the "Administrative
12 Costs" and the "Software/Vendor Costs", which we
13 talked about a little bit earlier, you know,
14 those are highlighted in there, and I don't know
15 if there is any opportunity there, but my thought
16 was immediately that, if Massachusetts and
17 Connecticut are implementing and have implemented
18 this already, understanding that your system is
19 not one that is -- you don't have a unified
20 system, so, I do understand that. But I was
21 hopeful that, upon rescrubbing, there could be
22 some cost reduction, given the progress that
23 you've made in Massachusetts and Connecticut.
24 Can somebody address the scrub level of these

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 numbers, and if there's some opportunity there,
2 given the status in those other states?

3 A (Rice) Sure. So, the reason that ranges are
4 provided here is because, you're correct, that
5 the ultimate cost allocated to New Hampshire
6 would likely vary, based on what Eversource is
7 doing in other jurisdictions. You know, we
8 assumed that we would have opportunities to, you
9 know, offer a similar program in Massachusetts
10 and Connecticut, which seems to be a safe
11 assumption. After we filed this, we did get an
12 order in Connecticut, indeed directing us to
13 launch that program.

14 I mean, to the extent it's of interest
15 to the Commission, we'd be happy to go back and
16 scrub these numbers, and come up with an
17 allocation based on the most recent data. I
18 don't -- I don't know if that would get you to a
19 greater-than-one benefit-cost ratio. But this is
20 somewhat stale data, a lot is happening in this
21 space. And we wouldn't be opposed to going back
22 and scrubbing these numbers.

23 Q Okay. Thank you for that. And that's very
24 helpful.

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 *[Chairman Goldner and Commissioner Ross*
2 *conferring.]*

3 CHAIRMAN GOLDNER: Yes. That's a good
4 idea. Yes, let's make that a record request.
5 And it will end up being numbered "34". Bear
6 with me while I write here.

7 **(Exhibit 34 reserved as placeholder.)**

8 CHAIRMAN GOLDNER: And, so, we'll add
9 that to the exhibit, I'll repeat it back at the
10 end.

11 But you may also want to look at the
12 customer incentive. You applied the \$150 to
13 every single customer for all time periods, and
14 I'm not sure everyone will be that cooperative.
15 So, you'll probably have some decrements there.
16 You know, that may change the answer a little bit
17 as well.

18 But, okay. Thank you for that. We'll
19 move onto the next section.

20 BY CHAIRMAN GOLDNER:

21 Q You mentioned, Mr. Boughan, about, you know, Ford
22 F-150s and Leafs earlier. I think the Ford F-150
23 has an inverter in the truck, doesn't it?

24 A (Boughan) I'm not an expert on the Ford F-150

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 specs.

2 Q Okay.

3 A (Boughan) So, I'll take your word for it.

4 Q Does the Leaf? Do you know if the Leaf does? I
5 mean, if they're doing bidirectional charging,
6 doesn't that mean that they have to have an
7 inverter to transfer from AC to DC?

8 A (Boughan) Yes.

9 Q I think that's right. So, and I'm just, you
10 know, again, I'm always very interested in
11 future-proofing, to the extent possible. But, if
12 you've got an F-150 or a Leaf that has an
13 inverter, so you can transfer from AC to DC, life
14 is good, or you have a wall-hung battery, you
15 know, I'm just kind of curious, and I realize
16 there's multiple dockets here, and, so, you know,
17 trying not to cross dockets. But I don't know
18 why you're not calling for power during peak, as
19 opposed to just stopping charge. If you have
20 availability, whether it's a wall-hung battery or
21 a bidirectional F-150, why wouldn't you be going
22 in the other direction?

23 A (Boughan) So, you know, one of the hesitations of
24 automakers to make bidirectional charging

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 available is that the frequent or -- yes, the
2 frequent rapid charging and discharging takes a
3 toll on the battery life, and, you know, could
4 have warranty implications and cost implications
5 for the automakers. So, for the most part, they
6 have been hesitant to make the cars capable of
7 doing that.

8 Q Interesting. That's a very good data point.
9 Thank you for that. I did not know that.

10 Okay. So, I'm going to just continue
11 with a few more questions, following up on
12 Commissioner Ross and Commissioner
13 Chattopadhyay's questions on the Managed Charge
14 Initiative. I'm not quite clear on a couple
15 pieces of the physical implementation, and that's
16 why we have the record request, because it's a
17 little bit hard to comprehend if you don't have
18 pictures. And I would encourage, in future
19 filings, to make, you know, make visuals as
20 available as possible, to help the Commission and
21 the Parties.

22 But, so, you know, how does a customer
23 know if power is available? So, I understand, if
24 you have a dumb charger, you plug it and power is

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 available. But what if you shut it off? How
2 does he or she know that they're not getting
3 power because of the, you know, because of the
4 program?

5 They might be upset, if they come home
6 at 5:00 from work, they plug in, they want to go
7 shopping, their battery is low, they want to go
8 shopping in a couple of hours, and it never
9 charged when they get back out to their car. I'm
10 just wondering how they -- how do they know if
11 it's charging or not, that you shut them off?

12 A (Rice) Yes. I may be getting ahead of myself and
13 suffering the limitations of assuming testimony
14 on this one. But, you know, when I used to talk
15 to Mr. Goldman, who originally sponsored this
16 testimony, we have notifications that go to
17 customers. I think, at enrollment, we'll explain
18 how the program operates, and they will have some
19 indication on when they can expect to be
20 curtailed.

21 Again, you know, as we described, for
22 initial deployment, it would be an eight-hour
23 period, and every day in the summer. We will
24 probably be providing them an indication of when

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 that eight-hour period is.

2 And, then, as you get more
3 sophisticated, and, you know, when we have
4 scenarios when we're targeting, you know, more
5 dynamic peaks, we have push notifications to
6 customers. So, they will get maybe a text
7 message or some other communication a day in
8 advance, saying "Hey, you know, tomorrow we're
9 going to be, you know, operating a demand
10 response event. You're not going to be able to
11 charge between the hours of X and Y."

12 Q Okay. And you have some sort of active system to
13 do the reverse. So, somebody comes in, they need
14 power for some reason, their car is out, they're
15 parked in the garage, they're at 1 percent, they
16 need power. They come home in the summertime,
17 and they plug it in, "Oh, oh."

18 But I understand from your testimony
19 that there is a way to still access the grid even
20 in those situations. Would that be -- how would
21 that work? Is that a phone call to Eversource?
22 Is that something you do from your smartphone?
23 How do they turn it back on?

24 A (Rice) Yes. I mean, they certainly have the

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 ability to override a curtailment. And, to be
2 honest, again, because I'm not the guy that runs
3 these programs, I just talk to him a lot, I don't
4 have the specific answer to that. But I don't
5 know if Mr. Boughan does?

6 A (Boughan) Yes. I'm not sure of the mechanics of
7 the opt-out. So, we could follow up with that.
8 But it's -- an immediate override, I think you
9 can just plug in and begin charging, and that's
10 your override.

11 Q Okay.

12 A (Boughan) But we can double-check on that.

13 Q Yes. That would be -- that would be important,
14 if you had that situation.

15 Let's see. I had a couple more, and
16 then I'll wrap up.

17 So, you know, you highlighted
18 situations earlier where you're putting in, over
19 the next five or six years, a new IT system, a
20 new -- holistically, trying to combine different
21 acquisitions, different components of your
22 company. That's a noble cause.

23 How do you -- how do you decide how
24 much gets charged to New Hampshire versus

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 Massachusetts versus Connecticut versus wherever?

2 How is that algorithm determined? Who gets what?

3 A (Rice) So, the Company has a Cost Allocation

4 Manual that outlines the basis for allocating

5 costs on a variety of methods, for some --

6 subject to confirmation. But, for something like

7 a billing system, if that's used enterprise-wide,

8 typically, the costs would be allocated on a

9 prorated basis, based on the number of customers

10 that each utility has.

11 So, you know, I think, if PSNH has

12 approximately, you know, 500,000 customers, out

13 of 3 million Eversource-wide, they would receive,

14 you know, one-sixth of the cost allocation, if it

15 was based on customer count. There can be other

16 methods for allocating costs as well, which would

17 produce different ratios.

18 Q I'm looking at Mr. Buckley, because we're a

19 vacation state, that may enter in your algorithm.

20 Right? If you have Massachusetts -- if you have

21 people with a lot of summer homes living here,

22 and you do a customer count, you're going to get

23 maybe a different answer than if you did it on

24 the total load, right?

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 A (Rice) I mean, in some cases, we allocate based
2 on total load. But, you know, our billing system
3 is ultimately, you know, supporting the issuance
4 of bills to all those customers, whether or not
5 they're in the summer or not, I guess.

6 Q Is it fair to assume, this happened before I
7 joined the Commission, but was this algorithm
8 approved by the Commission in a prior rate case?

9 A (Rice) Yes. We typically file the Cost
10 Allocation Manual in every rate case. Because,
11 ultimately, it's the basis for a lot of
12 components of the cost of service that are
13 evaluated in a rate case.

14 Q Okay. And would you have any advice for the PUC
15 or New Hampshire, in terms of when you're
16 implementing the software and you're upgrading
17 your system and you're looking at new programs,
18 would you advise us, from a cost perspective at
19 least, to be followers or leaders to the other
20 states? My sense is that, if Massachusetts and
21 Connecticut are implementing new programs, and
22 New Hampshire perhaps wisely follows, that that
23 could be in New Hampshire's best interest to
24 lower the total cost?

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 A (Rice) I think so. I mean, every case is going
2 to be unique. So, I don't want to say that's
3 generally always the case. And there may be
4 unique reasons why New Hampshire would want to
5 tread its own path in certain areas.

6 But, certainly, in this scenario, you
7 know, we've, you know, in our initial testimony,
8 we described the upgrades that would be necessary
9 for a three-period rate. That would be custom
10 work that would only be done for the benefit of
11 New Hampshire, where, you know, we kind of talked
12 about, if we were to copy a rate that was already
13 in existence in another jurisdiction, that could
14 be done at lower cost.

15 So, I think your -- I think your sense
16 is right. There are a lot of occasions where,
17 trying to work within the capabilities that have
18 already been developed for the Company to serve
19 other justifications across the enterprise, means
20 that New Hampshire would just be allocated a
21 piece of that, rather than being charged 100
22 percent of something that was just undertaken for
23 the benefit of New Hampshire.

24 Q Thank you, sir. That's extremely helpful. I

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 just have one last question. I saved the
2 toughest for last.

3 So, in this business of the
4 three-period time-of-use rates, we spent a full
5 day earlier this week talking about the two
6 utilities that were going to implement that. And
7 I have to admit, as a new Commissioner, being
8 surprised that Eversource, the largest New
9 England supplier, was the one with the least
10 capability. Would anyone care to address that?

11 A (Rice) Well, I'll take it just from a business
12 standpoint, and Mr. Moore might be able to offer
13 more specifics.

14 But I think one thing that Mr. Moore
15 talked about earlier is, you know, Eversource
16 actually tries to avoid, you know, spending money
17 when we don't need to. You know, so, we've been
18 effectively serving pretty much all of our
19 500,000 customers with the billing systems we
20 have now. Those were installed in about 2008, I
21 think we said. So, I mean, I don't know the
22 exact depreciation of it. But, a lot of times,
23 IT equipment like that, it's depreciated within
24 10 years. So, we're kind of in a situation now

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 where we have these systems that customers have
2 pretty much already paid for, at least their
3 original install cost, and we're able to continue
4 utilizing them to serve customers. So, that's a
5 good -- a good outcome, we think.

6 We can't do that forever. Eventually,
7 things change. And we talked about all the
8 changes that, you know, are coming down the road,
9 with things like the data platform, definitely
10 with new rate structures, with new types of net
11 metering. So, eventually, we're going to have to
12 change.

13 But, from a business standpoint, the
14 longer that you can push that change out and use
15 what you have now, is a good way to minimize
16 costs. So, that's what we're doing. And, you
17 know, I think we just think it's, in the long
18 run, most efficient to, instead of kind of
19 patching our current systems, to do one thing
20 that might be nice to have now, if you defer that
21 just a little bit longer, and tackle it as part
22 of, really, a comprehensive enterprise solution
23 that does lots of things, it can be a more
24 cost-effective way of managing our systems.

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 CHAIRMAN GOLDNER: Thank you, Mr. Rice.
2 So, that concludes my questions.

3 I'll move back to Commissioner Ross and
4 Commissioner Chattopadhyay, to see if there's any
5 follow up?

6 CMSR. CHATTOPADHYAY: No.

7 CHAIRMAN GOLDNER: Okay. So, that
8 completes Commissioner questions.

9 We'll move to redirect from -- and I'll
10 recognize Ms. Chiavara.

11 WITNESS DAVIS: Chairman Goldner?

12 CHAIRMAN GOLDNER: Yes.

13 WITNESS DAVIS: Sorry. This is Ed
14 Davis. I just wanted to respond to Commissioner
15 Chattopadhyay's question regarding the rate
16 differential?

17 CHAIRMAN GOLDNER: Go ahead.

18 WITNESS DAVIS: And, particularly, I
19 think Mr. Buckley referenced Exhibit 13, Page 11.
20 So, I figured I'd just go to that and respond.

21 So, there is a -- if you just take the
22 price ratios from stated rates, it's about, I
23 think, 2.4 between peak and off-peak. But I do
24 want to emphasize, those are highly distorted

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 pricing, you know, left over from legacy from
2 restructuring. Distribution pricing,
3 peak/off-peak is, first of all, everything is on
4 a 13-hour peak period. You know, the ratios
5 there are really left over from unbundling rates.
6 So, just a word of caution. And they happen to
7 be rates in effect August of 2020 in that table.

8 But you're on the order of about,
9 roughly, two to two and a half, depending on the
10 generation supply price. But that gives you sort
11 of a benchmark, if you will. If you just take
12 2.6 cents, divided by 10.8, you know, that will
13 give you that ratio, just doing the quick math.

14 CHAIRMAN GOLDNER: Thank you.

15 WITNESS DAVIS: Okay. Thank you,
16 Chairman.

17 CHAIRMAN GOLDNER: And Ms. Chiavara?

18 MS. CHIAVARA: Yes. Thank you, Chair.
19 I heard you mention that, after redirect, we were
20 going to take a short break. And I was wondering
21 if you'd be open to the idea of taking a short
22 break now, so that I can confer with my clients
23 before redirect? Would that be all right?

24 CHAIRMAN GOLDNER: Sure. That would be

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 perfect. How much time would you like?

2 MS. CHIAVARA: Five minutes is fine.

3 CHAIRMAN GOLDNER: Okay. Let's take
4 five minutes. And we'll reconvene at -- let's
5 just reconvene at --

6 *[Chairman Goldner and the court*
7 *reporter conferring.]*

8 CHAIRMAN GOLDNER: The stenographer --
9 yes. Let's take ten minutes. And we'll
10 reconvene at, I think that's -- what time is it?
11 Is it 3:35? Okay. Let's come back at 3:35.
12 Thank you.

13 MS. CHIAVARA: Thank you.

14 *(Recess taken at 3:24 p.m. and the*
15 *hearing resumed at 3:41 p.m.)*

16 CHAIRMAN GOLDNER: Okay. Ms. Chiavara,
17 are you ready to go?

18 MS. CHIAVARA: Yes, I am. Thank you
19 very much.

20 CHAIRMAN GOLDNER: Okay. Thank you.
21 I'll recognize Ms. Chiavara. Go ahead.

22 MS. CHIAVARA: I only have a few
23 questions. The first being for Mr. Rice.

24 **REDIRECT EXAMINATION**

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 BY MS. CHIAVARA:

2 Q The Department of Energy, during
3 cross-examination, described a hypothetical
4 situation by adding certain variables to the
5 time-of-use rate scenario, to ask if time-of-use
6 rates could generate at-scale changes to demand
7 and charging behavior.

8 My question is, what would it take to
9 see the type of at-scale demand and behavior
10 shifts that the Department was previously
11 discussing?

12 A (Rice) I think you would need a scenario in which
13 a high enough volume of EV customers was
14 enrolling in rates, and shifting their charging
15 behavior accordingly, as the rates were intended
16 to encourage them to do. And I think Eversource
17 has kind of been clear in this proceeding that we
18 don't feel that would happen today with the
19 time-of-use rates that are for residential
20 customers on a separately-metered basis that are
21 being considered at this time.

22 It doesn't mean that that will be a
23 permanent scenario. Certainly, as, you know,
24 more customers drive EVs, you might have, you

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 know, start having multiple EV households, you
2 know, that will create likely more opportunities
3 for customers to realize savings. And, I think,
4 as we have indicated, we're optimistic that, you
5 know, we'll be able to more effectively offer
6 more rate options to customers in the future
7 through updated systems.

8 So, I expect that the Commission found
9 that time-of-use rate designs are appropriate for
10 EV charging, we completely agree, that that's the
11 case in the right situation. We just don't see
12 the EV market today as creating those conditions.

13 So, while we're recommending a
14 different initial step through managed charging,
15 to start encouraging those customers that can to
16 shift their load. And we hope that that's
17 something we can build off going into the future.
18 We really see that kind of those conditions for
19 at-scale load-shifting through rate design to be
20 something that would more likely materialize in
21 the future, rather than today.

22 Q Okay. Thank you. And I would like to turn to
23 Mr. Davis for a moment.

24 Mr. Davis, could you look at

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 Exhibit 8, on Bates Pages 013 and 014. It's
2 Testimony of Dr. Sergici on behalf of the
3 Department of Energy.

4 A (Davis) I'm there.

5 Q And there's a passage of testimony there where
6 Dr. Sergici is discussing Eversource's rate
7 design, including the customer charge?

8 A (Davis) Yes.

9 Q Okay. Would you say that, from that passage,
10 that Dr. Sergici both understands the calculation
11 of Eversource's customer charge, and agrees that
12 both the design of the rate and those
13 calculations were sound?

14 A (Davis) Yes, I do.

15 Q Okay. Thank you. And, then, back to Mr. Rice
16 for my final question.

17 Mr. Rice, the managed charging programs
18 that are currently offered by Eversource, in both
19 Massachusetts and Connecticut, are those offered
20 along with EV time-of-use rates or are they
21 offered as stand-alone EV customer solutions?

22 A (Rice) They're offered as stand-alone EV customer
23 solutions for residential customers. And I think
24 we indicated earlier in the day that, even though

[WITNESS PANEL: Moore|Rice|Davis|Boughan]

1 Connecticut and Massachusetts both have, you
2 know, explicit EV adoption goals, they haven't,
3 at this time, directed utilities to implement
4 separately-metered EV time-of-use rates for
5 residential customers.

6 The Connecticut Public Utilities
7 Regulatory Authority concluded an investigation
8 last year, in the middle of last year. They
9 looked closely at this issue, and they even
10 issued preliminary straw proposals that
11 contemplated that utilities would, you know,
12 provide both a managed charging solution and a
13 separately-metered residential rate. But, upon
14 further investigation, they ultimately declined
15 to require the utilities implement both.

16 But still found, you know, very
17 definitively, that it was critical that the
18 utilities offered a managed charging proposal to
19 encourage optimization of EV charging activity.

20 MS. CHIAVARA: Thank you. Thank you,
21 Chair. That is all I have.

22 CHAIRMAN GOLDNER: Thank you. The
23 witnesses are released.

24 So, next on the agenda is City of

[WITNESS: Below]

1 Lebanon, and after this we have CLF and CENH, and
2 also public comment.

3 Mr. Below, how would you like to
4 proceed?

5 MR. BELOW: To adopt my testimony.

6 CHAIRMAN GOLDNER: Okay. Thank you.

7 MR. BELOW: Would you like me to take
8 the witness booth?

9 CHAIRMAN GOLDNER: Yes, please.

10 MR. BELOW: Okay.

11 CHAIRMAN GOLDNER: All right.

12 Mr. Patnaude, would you swear in the witness.

13 (Whereupon **Clifton C. Below** was duly
14 sworn by the Court Reporter.)

15 CHAIRMAN GOLDNER: Thank you. And I
16 believe that Mr. Buckley had agreed to do direct.

17 MR. BUCKLEY: Yes. Thank you,
18 Mr. Chair.

19 **CLIFTON C. BELOW, SWORN**

20 **DIRECT EXAMINATION**

21 BY MR. BUCKLEY:

22 Q Councilor Below, can you please state your name,
23 position, and who you are representing in this
24 proceeding for the record?

[WITNESS: Below]

1 A My name is Clifton Below. I'm a City Councilor
2 and Assistant Mayor in the City of Lebanon, who
3 I'm representing in this proceeding.

4 Q Thank you. And can you please describe the
5 nature of your participation in this proceeding
6 thus far?

7 A Well, I have participated throughout, in the
8 technical sessions, the settlement discussions,
9 and also prefiled testimony.

10 Q And that prefiled testimony you mentioned, is
11 that the testimony we now have premarked as
12 "Exhibit 9", I believe?

13 A It is.

14 Q And, if I asked you the same questions that are
15 posed in your testimony today, would you have the
16 same answers?

17 A Yes, I would.

18 Q And do you now, here today, adopt that testimony?

19 A Yes.

20 Q And do you have any other comments that you'd
21 like to make?

22 A Well, just generally, the City doesn't oppose the
23 Settlement. I think it would be more proper to
24 characterize that we're just not that

[WITNESS: Below]

1 enthusiastic about it.

2 I think that the overall time-of-use
3 rate design for Liberty and Unitil is actually a
4 pretty sound methodology overall. I had some
5 concerns, primarily about how it was calculated,
6 in terms of revenue neutrality. But, actually,
7 as I've taken a closer look at that, I'm not sure
8 that that is that big of a problem. I'm somewhat
9 concerned about retaining the half demand charge.

10 From the City's point of view, I am not
11 sure it's something that I should say, as I did
12 in my testimony, the City, under the direction of
13 the City Manager, is looking to electrify its
14 fleet of -- fleets of vehicles over time. We
15 only have one Nissan Leaf and we have one Ford
16 F-150, all electric, on order. But we're
17 starting to follow what's happening and see
18 what's available for police, fire, DPW vehicles,
19 and so forth. So, the main thing we're focused
20 on is our physical infrastructure, so we're
21 prepared, because this is going to take some
22 number of years.

23 And a lot of our sites that have --
24 that we see as potential charging locations, we

[WITNESS: Below]

1 have some degree of solar on those sites. And,
2 so, I'm not sure it would -- and, in most cases,
3 they sometimes occasionally export to the grid,
4 mostly they are consumed on-site.

5 But the fact that this would be a
6 stand-alone rate, which is the whole proceeding
7 anticipated, as we thought about it, it's less --
8 potentially less valuable, when we've already got
9 an existing electrical infrastructure.

10 So, ultimately, I think we're
11 interested in time-of-use rates, time-varying
12 rates that access, particularly, for transmission
13 and distribution, because, through the market,
14 you can recognize the energy component.

15 But also believe that those do you need
16 to be cost causation related. And I believe
17 that, if you think about it on sort of a entire
18 class basis for the whole system, if we design to
19 achieve revenue neutrality, based on class
20 average load shapes or even the whole load shape
21 of, say, residential or C&I customers, if you
22 design on that basis, then what the time-of-use
23 rates, if they're cost causation based, would
24 reflect the probability of having -- of causing

[WITNESS: Below]

1 costs.

2 So, for transmission, for instance,
3 it's based on a single hour of coincident peak
4 demand each month. So, if you were exposed to
5 that fact, you would maybe voluntarily look at
6 ways to avoid contributing to the monthly peaks
7 or the annual peak for the Forward Capacity
8 Market. And I think that's what the design of
9 time-of-use rates does. It says "what is the
10 probability that you're going to have a
11 transmission peak in these different periods of
12 time?" And there's almost no chance that they're
13 going to occur during the off-peak times,
14 because, historically, they haven't. And a high
15 chance they'll concur during the on-peak. And a
16 little bit of a chance they might occur mid-peak.
17 So, if you put that cost in those time periods,
18 then you're sending an appropriate price signal.
19 And I think that's the key to economic
20 efficiency, in terms of sending those appropriate
21 price signals.

22 So, just to conclude, you know, I think
23 that this is going in the right direction. Maybe
24 the Settlement is incremental progress. But,

[WITNESS: Below]

1 again, there's just -- there's a bit of muddling
2 by adding back in the demand charge. And, as
3 much as I think that the -- the well-designed
4 time-of-use rate actually reflects the
5 probability. So, if you're only way down at one
6 or two percent utilization, to some extent it's
7 reflecting the probability that you're going to
8 have a significant impact on the capacity of the
9 system at times when it's most strained.

10 So, I'll stop there. Thank you.

11 MR. BUCKLEY: Thank you, Councilor
12 Below. No further questions on direct.

13 CHAIRMAN GOLDNER: Thank you. We'll
14 open up to cross-examination. Liberty Utilities?

15 MR. SHEEHAN: I have no questions.
16 Thank you.

17 CHAIRMAN GOLDNER: Eversource?

18 MS. CHIAVARA: No questions for this
19 witness. Thank you.

20 CHAIRMAN GOLDNER: Unitil?

21 MR. TAYLOR: Unitil has no questions
22 for the witness. Thank you.

23 CHAIRMAN GOLDNER: Clean Energy New
24 Hampshire?

[WITNESS: Below]

1 MR. SKOGLUND: Clean Energy New
2 Hampshire has no questions for the witness.

3 CHAIRMAN GOLDNER: Thank you. CLF?

4 MR. KRAKOFF: No questions of this
5 witness.

6 CHAIRMAN GOLDNER: New Hampshire
7 Department of Environmental Services?

8 *[No verbal response.]*

9 CHAIRMAN GOLDNER: New England
10 Convenience Store and Energy Marketers?

11 *[No verbal response.]*

12 CHAIRMAN GOLDNER: The Office of
13 Consumer -- I'm sorry, the Office of Consumer
14 Advocate?

15 MS. DESMET: Thank you. Nothing from
16 the OCA.

17 CHAIRMAN GOLDNER: All right. Thank
18 you. The witness is released. No, I'm sorry.
19 No. Commissioner questions. My fault, I've
20 never had a *pro se* witness before. So, bear with
21 me. Sorry. Commissioner Ross?

22 SPECIAL CMSR. ROSS: No.

23 CHAIRMAN GOLDNER: Okay. Commissioner
24 Chattopadhyay?

[WITNESS: Below]

1 CMSR. CHATTOPADHYAY: I don't.

2 WITNESS BELOW: It occurred to me, I
3 had one more thought I'd like to share, if I may?

4 In thinking about this, and why I think
5 time-of-use rates are also appropriate for C&I,
6 if the City installs probably, most likely,
7 Level 2 charging, because most of our vehicles
8 don't travel that far, with some exceptions, they
9 could charge overnight.

10 And, absent some price signals, there
11 will be a tendency to just plug them in at the
12 end of the shift, 4:00 in the afternoon, say.
13 And they may well be fully charged up by
14 midnight, but you could also charge them between
15 midnight and 6:00 a.m., perhaps. And, if there's
16 no particular price signal in the rates, then
17 there may not be that incentive.

18 So, I think my only point is that,
19 although some people traveling interstate on a
20 trip may have very little flexibility when they
21 charge, because they need a fast charge, there
22 will likely be large quantities of fleet
23 vehicles, as well as employees who come to work
24 and can recharge over the course of their shift,

[WITNESS: Below]

1 that will have some flexibility when they charge,
2 which is why I think it's important to get the
3 price signals -- the temporal price signals out
4 early in this area.

5 Thank you.

6 CHAIRMAN GOLDNER: Thank you, Mr.
7 Below. I have no questions. The witness is
8 released. Thank you.

9 WITNESS BELOW: Thank you.

10 CHAIRMAN GOLDNER: Okay. Any other
11 matters, before we have the next witness sworn in
12 for CLF and CENH?

13 [No verbal response.]

14 CHAIRMAN GOLDNER: Okay. Very good.
15 Let's proceed with the witness. Mr. Patnaude,
16 would you please swear in the CLF/CENH witness.

17 (Whereupon **Christopher R. Villarreal**
18 was duly sworn by the Court Reporter.)

19 CHAIRMAN GOLDNER: Thank you. Mr.
20 Skoglund or Mr. Krakoff, who will be leading off?

21 MR. KRAKOFF: I will be leading off for
22 CLF.

23 CHAIRMAN GOLDNER: Okay. And both of
24 you will be participating?

[WITNESS: Villarreal]

1 MR. KRAKOFF: I think just I had
2 questions. I don't think Mr. Skoglund has
3 questions of Mr. Villarreal.

4 CHAIRMAN GOLDNER: Okay. Thank you.
5 Please proceed.

6 MR. KRAKOFF: Okay. Good afternoon.

7 **CHRISTOPHER R. VILLARREAL, SWORN**

8 **DIRECT EXAMINATION**

9 BY MR. KRAKOFF:

10 Q Could you please state your full name?

11 A My name is Christopher Villarreal. V, as in
12 "Victor", -i-l-l-a-r-r-e-a-l.

13 Q And, Mr. Villarreal, could you please state who
14 you work for?

15 A I work for Plugged In Strategies.

16 Q Okay. Are you the Principal of that, at that
17 consulting company?

18 A I am the Principal, President, and only employee.

19 Q Okay. And you previously worked for the -- for a
20 couple of public utilities commissions, correct?

21 A Correct.

22 Q Okay. Now, I'd like to start with what has been
23 identified as "Exhibit 6". Is Exhibit 6 your --
24 what's been marked as your prefiled testimony?

[WITNESS: Villarreal]

1 A Yes.

2 Q Okay. And do you have any changes or corrections
3 that you would like to make to your testimony
4 today?

5 A I do not have any changes or corrections.

6 Q Okay. And is your testimony true and accurate to
7 the best of your knowledge?

8 A It is.

9 Q And do you adopt the testimony, which has been
10 identified as "Exhibit 6", as your sworn
11 testimony here today?

12 A I do.

13 Q Thanks. Now, could you just briefly describe the
14 current state of EV adoption in New Hampshire, in
15 your view?

16 A Sure. In my view, the state of EV adoption in
17 New Hampshire is relatively low. And, so, it's a
18 prime time, as a result, to have these
19 conversations on EV rate design.

20 Q Okay. And the other day we heard about EV
21 charging, particularly charging at public
22 charging stations. But, for owners of EVs, where
23 does most charging occur?

24 A For owners of EVs, most of the charging occurs at

[WITNESS: Villarreal]

1 their homes. Since they are all largely private
2 vehicles at this point in time, the optimal place
3 for people to be charging them is at their
4 residence.

5 Q Okay. Now, in your testimony, you stated that
6 "the Commission should consider EV adoption a
7 priority." Could you briefly describe the
8 benefits of making EV adoption a priority in New
9 Hampshire at this time?

10 A Yes. So, considering EV adoption as a priority
11 for a state like New Hampshire, it means that it
12 imbues the goals of EV adoption throughout their
13 consideration. So, for things like distribution
14 investments, having EV adoption as a goal of the
15 state will help influence and identify areas of
16 the distribution system that may be better suited
17 or in need of supporting EV adoption.

18 So, things like areas of the system
19 that might be better suited for clustering Level
20 2 chargers or locating DC Fast Chargers, without
21 having it be a stated goal, rolling out programs
22 to support the distribution investments to
23 support EV adoption may not be realized.

24 And, so, as the utility looks to deploy

[WITNESS: Villarreal]

1 infrastructure, without looking at the impact of
2 EV adoption on that infrastructure, you may be
3 either investing in the wrong areas, investing in
4 the wrong technologies, and may result in a
5 slightly far more inefficient system as a result.

6 Q So, just to summarize what you just said, are you
7 suggesting that there are certain efficiencies
8 related to making EV adoption a priority now, as
9 opposed to waiting down the road, when there's
10 more EVs on the road?

11 A Certainly. So, if a state waited for a higher
12 penetration of EV adoptions, being at whatever
13 level it is, it takes time for the utility to
14 make the plan for investments to put in the
15 system. Then, it has to put it into a filing.
16 And, then, it goes through a regulatory process.
17 And the Commission has to review it and issue an
18 order approving the investments. And, then, it
19 goes back out to be installed. So, that's
20 several years, in which case, you know, adoption
21 continues to grow.

22 And, so, by putting it up front, and
23 being proactive and planning for the growth of EV
24 adoptions in a state, the Commission and the

[WITNESS: Villarreal]

1 state, therefore, can be put on a path of -- can
2 implement and integrate EVs on a much smoother
3 basis than if we waited until adoption hit a
4 certain level.

5 Q Now, a little while ago, I think it was Chairman
6 Goldner that said that "New Hampshire is a
7 tourist state", a lot tourists visit here. And I
8 think, when we go home tonight, we'll see all
9 these tourists on I-93 outside.

10 But does encouraging the development of
11 an EV charging network have an impact on tourism
12 in the state?

13 A I certainly think it does. As people come and
14 spend their time and their money in New
15 Hampshire, if there's not an adequate
16 infrastructure in place to support electric
17 vehicle charging, then that's lost opportunity,
18 right? So, towns and communities where people
19 would come to visit, without adequate
20 infrastructure for EV charging, may be less
21 interested or spend less time in the towns and
22 communities that do not have this infrastructure.

23 Q Now, in your testimony, you stated that, in this
24 docket, it's your view that the Commission should

[WITNESS: Villarreal]

1 consider issues beyond just cost causation and
2 designing rates for EVs. You know, we heard a
3 lot the other day from DOE about cost causation.

4 But, in your testimony, you stated
5 that, to achieve the public policy priority of
6 increased EV adoption, the Commission should
7 consider, you know, the principle of diffusion of
8 benefits in developing rates. What exactly does
9 that mean?

10 A Sure. So, I think, first and foremost, rate
11 design is an art and a science. And, so, looking
12 at rates in a vacuum of, you know, just looking
13 at them in the short term, ends up missing other
14 components and other benefits that could be
15 realized if looked at more broadly. So, things
16 like "diffusion of benefits" means that, with the
17 appropriate rates in place that support
18 development of EV infrastructure across the state
19 means that people will go and leverage or know
20 that there is going to be charging where they go.
21 And, so, that means people will come and spend
22 more money there.

23 I know that, for example, in other
24 states, big box stores, like Targets, have noted

[WITNESS: Villarreal]

1 that, where they provide charging infrastructure
2 for their customers, their customers tend to stay
3 parked longer, and, as a result, they spend more
4 money. So, that's more money that goes into
5 local communities.

6 Furthermore, by planning for and
7 including societal benefits or considering
8 societal benefits, you know, we have other air
9 emission benefits. So, fewer gasoline-powered
10 vehicles are on the road, which results in
11 cleaner air, which then has associated
12 environmental benefits.

13 So, you have a wide variety of
14 additional benefits that can be realized and
15 accrued to the state and to communities, and to
16 other developers and other industries, with
17 appropriate supporting policies to enable the
18 growth of electric vehicles.

19 Q And, so, why might it be beneficial for the New
20 Hampshire Public Utilities Commission to sort of
21 think about some of these other benefits at this
22 time, rather than strict cost causation in this
23 docket?

24 A Sure. So, all rate design includes a form of

[WITNESS: Villarreal]

1 social consideration. So, with the wide variety
2 of principles espoused by Professor Bonbright,
3 cost causation is an important one, revenue
4 neutrality is also an important one, but so is
5 affordability, so is certainty, so is, you know,
6 meeting other societal benefits that cannot be
7 captured in, you know, the cold light of day of
8 looking at rate design only through the lense of
9 revenue neutrality or cost causation.

10 Certainly, we don't want to lose sight
11 of cost causation or even revenue neutrality.
12 But, you know, solely relying upon one principle
13 to rule them all, so to speak, does not then
14 support the longer term role that things like EV
15 infrastructure can provide and support.

16 Q And one question I have for you is, you know,
17 with greater adoption of EVs, it's going to
18 increase the amount of electricity used. Does
19 that have the potential to decrease rates for all
20 ratepayers?

21 A It certainly does. It would increase the
22 efficiency of the system. It would -- and,
23 certainly, through selling more electrons, it
24 would allow for, you know, greater diffusion of

[WITNESS: Villarreal]

1 benefits, so to speak, through rate base, by more
2 appropriately and efficiently in the system
3 spreading out those kilowatt-hours to more
4 kilowatt-hours, and to more users of the system.
5 So, that would really only enhance the system's
6 value to more and more people, and uses, perhaps
7 more importantly.

8 Q Now, you said in your testimony that the usage of
9 DCFC chargers, public chargers, is unlikely to be
10 elastic. Why is that?

11 A So, the purpose of a DC Fast Charger is really to
12 allow the EV driver to get a fast charge, so they
13 can continue to be on their way. They might have
14 a place to go, they have an appointment, they are
15 looking just to get home, or get to work, or get
16 to where they need to be. And they just need a
17 quick boost, so to speak, of electricity to fill
18 up the battery, to get them from where they are
19 to where they need to be.

20 And, so, as a result, since it's on an
21 as-needed basis, it becomes much more difficult
22 to manage, and it's going to become less -- it's
23 going to be difficult to plan around, because we
24 don't really know when they're going to be used,

[WITNESS: Villarreal]

1 because, like I said, it's going to be used in an
2 as-needed basis.

3 Whereas Level 2 charges, we kind of
4 know where they are. We know their usage
5 profiles. They're mostly, at this point in time,
6 going to be used at home, or perhaps in fleets.
7 They're largely going to be stationary. And
8 those are much easier to manage than the DC Fast
9 Chargers would be. So, as a result, since
10 they're less elastic, they're less able to
11 respond to prices. Putting them on certain rates
12 that sort of then penalize, at this point in
13 time, that inelasticity doesn't do much to
14 support the growth and adoption of DC Fast
15 Chargers.

16 Q So, I mean, in your testimony, you spoke, you
17 know, about the benefits of time-of-use rates,
18 and especially for residential users. But, you
19 know, you stated that you thought it might be
20 inappropriate for time-of-use rates for DCFC
21 public charging stations.

22 I mean, I think you just explained
23 that. But is there anything else you want to
24 elaborate on there?

[WITNESS: Villarreal]

1 A The benefit of time-of-use rates is that it
2 provides a price signal to the end-user. And the
3 price signal is really important, generally, to
4 ensure that charging is accomplished at times
5 when it's lower. So, that would encourage
6 managed charging, that would encourage the
7 consumer to better -- to avoid a higher price, if
8 they can charge over the middle -- over overnight
9 hours. And ensuring that there's a price signal
10 for residential chargers, and for other types of
11 charging infrastructure, other than that DC Fast
12 Charging, I think it is really important to
13 ensure that DC -- that, excuse me, that EV demand
14 does not exacerbate any peaks, especially if we
15 can avoid them through the -- through the sending
16 of a price signal. So, TOU rates do a really
17 good job of accomplishing that and send that
18 price signal to consumers.

19 Q Now, in the Settlement proposal, you know, the
20 Settling Parties propose this commercial rate and
21 time-of-use rate, you know, it's a single
22 commercial rate for all commercial users. You
23 know, and that includes DCFCs and Level 2, you
24 know, regardless of the type of charger. You

[WITNESS: Villarreal]

1 know, and it proposes a time-of-use rate for all
2 these types of public chargers.

3 Is there any benefit to sort of
4 thinking of Level 2 charger users differently
5 from users of DCFC chargers?

6 A I think there would be a benefit to considering
7 treating Level 2 and DC Fast Chargers
8 differently. I think, if you look at adoption
9 rates around the country, because most charging
10 occurs at residential homes through Level 2
11 chargers or through public charging, again,
12 through Level 2 chargers, and since the impact on
13 the system can be better managed and be
14 responsive to price signals, putting it on a TOU
15 makes a lot more sense than putting a DC Fast
16 Charger under a TOU rate, again, because of the
17 vagaries of when the DC Fast Charger will
18 actually be used.

19 So, it might -- it would be worthwhile
20 to consider treating the DC Fast Charger at this
21 point in time, because they are -- again, there
22 are some few of them anyway, treating them --
23 perhaps considering them as a separate rate might
24 be a worthwhile consideration. That way you can

[WITNESS: Villarreal]

1 minimize any cross subsidies and at least track
2 the costs more discretely inside a separate
3 stand-alone network.

4 Q Now, you said in your testimony that demand
5 charges can play a significant role in EV
6 infrastructure rollout, especially at low
7 utilization rates. Could you please explain why
8 demand charges can be detrimental to the
9 economics of public EV charging.

10 A Sure. So, I think it's important to remember
11 that, at the end of the day, the bill has to be
12 paid by an end-use customer. And, to the extent
13 that an end-use customer is interested in putting
14 a DC Fast Charger or charging infrastructure on
15 their location, that will have an impact on their
16 budgets and the ability to pay their bill to the
17 utility.

18 And, so, to the extent that there's a
19 rate design that, in effect, penalizes the
20 consumer or the end-use customer from installing
21 this infrastructure, that will not do much to
22 encourage the development and growth of charging
23 infrastructure across the state.

24 If the end-use consumer is looking at

[WITNESS: Villarreal]

1 the demand charge being responsible for 70, 80,
2 up to 90 percent of their bill, then there's not
3 going to be much adoption rates.

4 But the letter that was received from
5 the Town of Derry, so, regardless of whether it's
6 Level 2 or, you know, stand-alone or what have
7 you, it shows the effect of a demand charge on
8 their willingness to maintain at least a Level 2
9 charger, where the demand charge was responsible
10 for 74 percent of that meter's bill. Which then
11 resulted, as the Town of Derry's letter noted,
12 resulted in them, you know, pulling out their
13 Level 2 charging infrastructure.

14 So, again, while we can sit and talk
15 about rate design sort of in a vacuum, at the end
16 of the day, people have to pay for this. And, to
17 the extent that New Hampshire is interested in
18 growing an EV infrastructure, the people who pay
19 the bill have to be able to afford the
20 infrastructure and the EV charging infrastructure
21 that they want to put in the system. If it
22 doesn't provide them a benefit, then they aren't
23 going to provide it.

24 Q And can demand charges -- can they cause bills to

[WITNESS: Villarreal]

1 rise substantially? You know, is that kind of
2 what we saw or what Town of Derry is saying in
3 their comment letter?

4 A Yes. That's how I read the letter.

5 Additionally, other research done by Rocky
6 Mountain Institute looked at the effect of demand
7 charges in some DC Fast Charging infrastructure
8 in California, and saw that, under demand charge
9 rates, especially at low adoption, it could
10 account for up to 90 -- or, up to 90 percent or
11 more of the bill. And because demand charge --
12 because DC Fast Chargers are hard to plan around,
13 that just results in that end-use consumer, who
14 would want to put a DC Fast Charger, having no
15 real reason to do so, if it's going to be such a
16 large component of their own operating expenses.

17 And, so, in thinking about how the
18 demand charge impacts consumer bills, especially
19 to that end-use consumer, I think is an important
20 consideration to think about.

21 Q Now, the other day, it might have been Unitil or
22 DOE, that, you know, kind of minimized -- tried
23 to minimize, you know, how much demand charges
24 affect bills, you know, and suggesting that it's

[WITNESS: Villarreal]

1 really just a distribution rate component, and,
2 you know, it's not that large of a component of
3 the overall bill. Do you agree with that?

4 A I do not. So, looking back, again, over the RMI
5 paper on demand charge impacts, I was looking
6 over Southern California Edison's rate, in fact,
7 just the other day. Southern California Edison's
8 demand charge also only applies to the
9 distribution portion of the rate. And, as RMI
10 found, even in that circumstance, it could still
11 be upwards of 80-90 percent of a consumer's bill.
12 So, even if it is only applying to the
13 distribution portion of the bill, it clearly
14 still has a significant -- can still have a
15 significant impact on that customer's bill.

16 Q Okay. So, the Settlement proposal -- the
17 Settlement Agreement proposal, that includes a
18 demand charge reduction of 50 percent for the
19 commercial EV rate classes that are being
20 proposed. Do you think that this 50 percent
21 reduction is sufficient to resolve some of the
22 issues with high-demand charges for public
23 charging stations, and those high-demand charges
24 affecting the viability of public charging

[WITNESS: Villarreal]

1 stations, which you just discussed?

2 A At this time, I don't think it does, for a couple
3 reasons.

4 First and foremost, again, because
5 there are so few of them out there, and they are
6 then used relatively infrequently, that end-use
7 customer has fewer kilowatt-hours, so to speak,
8 to spread those costs across, fewer uses of the
9 infrastructure to spread the costs across. So,
10 if a user subject to a 50 percent demand charge
11 has one charging session a month, that one time,
12 and that has a significant impact on the bill.

13 Secondly, you know, again, look at
14 Southern California Edison's example. Southern
15 California Edison, as well as other utilities
16 across the country, have designed a sliding
17 scale, so that, as utilization starts from zero,
18 where the demand charge has a significant impact
19 on the customer bill, because the sessions are so
20 limited, as utilization rates increase over time,
21 then you can see an increase of the demand
22 charge, again, as you balance out usage and
23 kilowatt-hour and kW rates, it becomes a more --
24 the rate -- the end-use consumer can then better

[WITNESS: Villarreal]

1 balance how these rates will impact their bill.

2 So, even in a state like California,
3 and Southern California Edison, which has a --
4 has implemented a ten-year demand charge holiday,
5 after year 10, the max demand charge is still
6 60 percent of the otherwise applicable demand
7 charge. Whereas here, in this Settlement, New
8 Hampshire is starting right off the bat at 50
9 percent, without any associated alignment to
10 utilization rates, regardless of whether that
11 end-use customer has one or 100 sessions, it's
12 starting right at 50 percent.

13 Q So, do you think that -- strike that. Now, the
14 other day I asked Unitil's witness a few
15 questions about Unitil's commercial EV rate
16 proposal in Massachusetts, and they have a demand
17 charge alternative there. And you just mentioned
18 the sliding scale approach for -- yes, I think it
19 was a California utility. Is there also a
20 sliding approach being proposed in Massachusetts
21 by Unitil?

22 A Yes, there is.

23 Q And could you just briefly describe what that is?

24 A Sure. I do describe it in my testimony. So, if

[WITNESS: Villarreal]

1 you just give me one second, so I can remember.
2 Oh, I'm sorry. Yes. So, I describe it in my
3 testimony. The sliding scale is based upon a
4 range of load factors, which I'll also loosely
5 translate as "utilization rates". So, as long as
6 the load factor is from zero to 5 percent,
7 there's no demand charge; from 5 to 10 percent,
8 the demand charge would be reduced by 75 percent;
9 from 10 to 15 percent, the demand charge is
10 reduced by 50 percent; and above 15 percent of
11 load factor, the full demand charge would apply.
12 And that's over a ten-year period.

13 So, in other words, as utilization
14 rates of the DC Fast Chargers increase over a
15 ten-year period, once they hit 15 percent or so
16 utilization, then a full demand charge would be
17 applied to that location.

18 Q Do you think that Unitil's Massachusetts proposal
19 would be more likely to solve some of the issues
20 with -- some of the issues with demand charges
21 acting as barriers to EVSE deployment than the
22 proposal in the Settlement Agreement here?

23 A Yes. It would certainly give those end-use
24 consumers more time. And it would support the

[WITNESS: Villarreal]

1 deployment of DC Fast Charging, knowing that the
2 end-use consumers would not be hit with any
3 significant demand charge while they're trying to
4 grow the marketplace for DC Fast Chargers and EV
5 adoption across the state.

6 Q And is it your understanding that that Unitil
7 proposal in Massachusetts, that was designed to
8 be revenue neutral?

9 A Yes.

10 Q So, do you think that -- do you think that the
11 demand charge alternative proposal in the
12 Settlement Agreement here is in line with some of
13 the other demand charge alternatives that you
14 discuss in your testimony that, you know, can
15 help -- that can help solve some of those
16 barriers to EVSE deployment from demand charges?

17 A No. The Settlement, as I read it, with imposing
18 a 50 percent demand charge on day one, would not
19 be consistent with the demand charge rate design
20 considerations going on across the country.

21 In fact, the testimony, as initially
22 filed by Unitil here, already noted that demand
23 charges can be barriers to deployment, deploying
24 DC infrastructure. The RMI report was pretty

[WITNESS: Villarreal]

1 clear that demand charges can be a barrier to
2 infrastructure.

3 What has gone on in other states, like
4 in Massachusetts, for example, have identified
5 demand charges as a barrier to the deployment of
6 infrastructure. And, so, what is common across
7 those other considerations, looking at, again,
8 looking at demand charges at low utilization,
9 treating them not as barriers, and allowing the
10 market and customer adoption rates to grow over
11 time, and then to allow demand charges and to
12 grow with the adoption of DC Fast Chargers, and
13 not act as a barrier.

14 Q Do you think that the 50 percent demand
15 reduction -- I'm sorry, the 50 demand charge
16 still serves as a barrier?

17 A Yes.

18 Q Now, there's also been some suggestions by the
19 Settling Parties that a high volumetric rate can
20 be a bigger concern for public charging station
21 operators than demand charges. Do you agree with
22 that?

23 A I do not. Again, if you sort of just peruse the
24 letter from the Town of Derry, the kilowatt-hour

[WITNESS: Villarreal]

1 prices, you know, first was only a very small
2 portion of the overall bill.

3 Secondly, again, I think it's important
4 to think that TOU serves a different purpose,
5 which is to ensure that the cost to serve, as it
6 applies to the actual cost to serve, are
7 appropriately sent, so that the end-use consumer
8 has an idea of when things need to be charged and
9 when they cannot charge.

10 For DC Fast Chargers, what I suggest in
11 my testimony is that neither a demand charge,
12 nor, at this point, a TOU rate, better thinking
13 around how those two work together, they need to
14 be considered. Because, at the end of the day,
15 the kilowatt-hours that are being charged still
16 need to be reflecting the costs, but how they
17 impact the end-use consumer's bill I think still
18 need to be determined. So, I don't think a
19 kilowatt-hour rate -- a higher rate is going to
20 dissuade a consumer from installing a DC Fast
21 Charger to any level that a demand charge would.

22 Q Okay. Thank you. And are volumetric charges
23 generally more predictable than demand charges?

24 A Yes. TOU rates, as proposed, for example, in the

[WITNESS: Villarreal]

1 Settlement, come with defined peak, shoulder, and
2 off-peak periods. The demand charge is passed at
3 the highest -- the greatest demand in any given
4 period. So, that highest demand could occur at
5 3:00 in the morning, which, you know, otherwise
6 would be a time of low demand across the system,
7 which is when you would, frankly, want most
8 charging to occur. And, so, the demand charge,
9 by definition, can occur at any point in time.
10 And, so, it becomes very -- it becomes much more
11 challenging for that end-use consumer to plan for
12 when that will occur and how much that will be.

13 Q Okay. Now, while you -- while you're not
14 supportive of the Settlement proposal's
15 provisions regarding commercial EV rates, do you
16 have an opinion on the Settlement proposal's
17 provisions regarding residential TOU rates?

18 A So, I think, again, generally speaking,
19 residential rates -- residential TOU rates make a
20 lot of sense, provided that the differential is
21 reasonable. It seems to me that a three-to-one
22 residential rate differential is reasonable, or
23 at least affordable.

24 On the commercial rate, I think

[WITNESS: Villarreal]

1 probably a differential between off-peak to peak
2 is a little great.

3 But, otherwise, I think the structure
4 itself is largely supportable.

5 Q So, you think, for the residential, though, the
6 structure is supportable?

7 A I probably should not use the word "supportable"
8 in this context. Because I know that I'm
9 otherwise not -- we're not otherwise supportable
10 of it. But I believe that the residential TOU
11 rate makes sense as designed.

12 Q Okay. Now, just a couple more questions.
13 Briefly, I want to turn your attention to
14 Eversource's proposal -- or, Eversource's
15 position here. DOE has argued that Eversource
16 should and could adopt a two-period time-of-use
17 rate. Do you think that Eversource should adopt
18 a two-period residential time-of-use rate, and
19 that that rate would be preferable to the Managed
20 Charging Program they're proposing?

21 A So, I would agree with Department of Energy,
22 that, with the current capabilities of
23 Eversource's meters, a two-part rate is
24 implementable. Furthermore, I think that

[WITNESS: Villarreal]

1 leveraging the EVSE metering component is also an
2 option that could be leveraged by Eversource to
3 fill in any gaps or use those -- use the EVSE
4 infrastructure to do the two-part rate. And, so,
5 I think, looking at the variety of options for
6 how metering can be accomplished, considering
7 where they are in their metering deployment, is
8 something that could also be continued to look
9 at -- looked at.

10 MR. KRAKOFF: Okay. Thank you. I have
11 no questions for Mr. Villarreal.

12 Let me just double-check with CENH to
13 make sure they have no questions?

14 MR. SKOGLUND: No. CENH has no
15 questions at this time.

16 MR. KRAKOFF: Okay. We have no further
17 direct questions for Mr. Villarreal.

18 CHAIRMAN GOLDNER: Thank you. We'll
19 move to cross. Liberty?

20 MR. SHEEHAN: No questions. Thank you.

21 CHAIRMAN GOLDNER: Eversource?

22 MS. CHIAVARA: Eversource has no
23 questions. Thank you.

24 CHAIRMAN GOLDNER: Unutil?

[WITNESS: Villarreal]

1 MR. TAYLOR: I'm going to ask an
2 indulgence from the Commission. If the
3 Commission could run through the other parties,
4 just to give me a moment to determine if am going
5 to have any questions, based on what Mr.
6 Villarreal just said, it would be most
7 appreciated?

8 CHAIRMAN GOLDNER: Sure. Sure.
9 ChargePoint?

10 MR. VIJAYKAR: ChargePoint has no
11 questions. Thank you.

12 CHAIRMAN GOLDNER: And I apologize for
13 missing you before.

14 MR. VIJAYKAR: That's all right.

15 CHAIRMAN GOLDNER: My apologies. City
16 of Lebanon?

17 MR. BELOW: No. No questions.

18 CHAIRMAN GOLDNER: Thank you. Office
19 of Consumer Advocate?

20 MS. DESMET: No additional questions.
21 Thank you.

22 CHAIRMAN GOLDNER: And Department of
23 Energy?

24 MR. BUCKLEY: I have just one or two

[WITNESS: Villarreal]

1 quick questions for Mr. Villarreal.

2 **CROSS-EXAMINATION**

3 BY MR. BUCKLEY:

4 Q And it relates to who the customer is for,
5 generally, for high-demand draw DC Fast Chargers.
6 We saw a list of nine locations in New Hampshire
7 earlier today, where Eversource knows that it has
8 DC Fast Chargers.

9 I happen to know that Mr. Villarreal
10 does a lot of work all over the country, he's
11 kind of a renowned expert in this space. But I
12 know, in your testimony, you talk about having
13 done work in Connecticut recently. And I have
14 included here, in Exhibit 13, at Bates Page 004,
15 a document I found in a Connecticut proceeding
16 that I was directed to by Eversource, that
17 identifies the results of its Connecticut public
18 charging rate.

19 And I just want to clarify that the
20 rate Eversource has proposed in Connecticut is
21 very different from the one it has proposed in
22 the other docket in New Hampshire. It's
23 actually, I think, the one in New Hampshire is
24 better than the Connecticut one. Though, I still

[WITNESS: Villarreal]

1 have my misgivings about it.

2 But here I see, listed as customer, in
3 the second to the left column, it's largely
4 "Tesla". Is that a representative sample of
5 those, of just generally charging station
6 deployment? Tesla is maybe, I don't know,
7 80 percent of DC Fast Chargers out there?

8 A For around the country, I don't know if that's --
9 I don't know. What I do know is that the type of
10 locations that may look to install DC fast
11 charging can run across very different types of
12 customers. It could be city and municipal
13 buildings, especially to support transit
14 opportunities. They could be, you know,
15 especially with the passage of the infrastructure
16 bill last year, it could be other public or
17 government locations along interstates, that
18 would be perhaps state property. They could be
19 businesses that want to install fast charging to
20 support areas inside a local community.

21 There were some proposals last year, in
22 the State of Nevada, by Engie Energy, that would
23 look at putting fast chargers in areas -- perhaps
24 underserved areas, paired with libraries or

[WITNESS: Villarreal]

1 shopping malls. So, again, looking towards the
2 future of where the role of DC fast charging
3 could sit, it could be many different places.

4 I think one of the impacts of Tesla,
5 for example, is that Tesla has taken upon
6 themselves to invest their own money in rolling
7 out these Supercharger areas to support the Tesla
8 network itself.

9 But I guess the short answer to your
10 question, Mr. Buckley, is that I don't believe
11 Tesla is representative of the types of DC Fast
12 Charging customers around the country. It just
13 may be unique in certain states, if there are not
14 so many DC Fast Chargers in a given state.

15 Q And, so, it looks like maybe Connecticut is one
16 of those states, just judging by this chart, or
17 at least was in 2020 or so, is that right?

18 A *(Witness indicating in the affirmative).*

19 Q My last question for you is, how do we know that
20 the customer of record, who is sometimes
21 receiving something of a break from these demand
22 charge alternatives, how do we know that they're
23 going to pass them through to drivers?

24 A So, I don't -- I don't have any -- I haven't

[WITNESS: Villarreal]

1 given any testimony or know anything in
2 particular about the end-use consumers, or, I
3 guess, the site host charging patterns that they
4 will pass on to the end-use consumer -- to the
5 user of the DC Fast Charger. So, I don't have
6 any real position or evidence or answer to that
7 question. I think that really becomes a
8 different issue than what is the rate being
9 charged from the utility to the site host.

10 Q That's fair. And you would suggest, probably,
11 that there are applications where the direct
12 customer of record is not the Teslas of the
13 world, like we saw in the other nine locations,
14 there were customers of record that were not
15 generally the charging station owners, is that
16 right?

17 A Right. So, what I would -- how I would answer
18 that is, the site host, who has the EVSE and is
19 paying the bill to the utility, they're the ones
20 being paid -- who are subject to the rates.
21 After that, whatever the site host does, whether
22 it makes it free or not, that is a separate
23 determination that I'm not certain how or in what
24 way this Commission would manage or regulate

[WITNESS: Villarreal]

1 that. And I don't know if it should be
2 regulated, but I don't know how this Commission
3 then would address that.

4 MR. BUCKLEY: Okay. That's very
5 helpful. Thank you, Mr. Villarreal. No further
6 questions from the DOE.

7 CHAIRMAN GOLDNER: Thank you.
8 Commissioner Ross?

9 SPECIAL CMSR. ROSS: I have no
10 questions for this witness. Thank you.

11 CHAIRMAN GOLDNER: Commissioner
12 Chattopadhyay?

13 CMSR. CHATTOPADHYAY: I'm going to ask
14 a question about, you know, affordability that
15 you just sort of mentioned.

16 BY CMSR. CHATTOPADHYAY:

17 Q Have you done any research on the affordability
18 of electric vehicles, you know, as you see
19 currently, relative to, you know, conventional
20 vehicles? Have you done any research on, you
21 know, so, like when customers buy it, you know,
22 what kind of people buy electric vehicles? Their
23 incomewise, you know, where do they fall?

24 So, I'm just trying to understand

[WITNESS: Villarreal]

1 whether affordability is a -- can be an issue
2 even with electric vehicles.

3 A Thank you for the question, Commissioner.

4 Looking at what has happened in the past, you
5 know, certainly, and as it happens with any
6 technology, you know, first round of technology
7 is going to be more expensive as you have to
8 recover your costs. And, over time, as
9 efficiencies and economies of scale are realized
10 through, you know, more sales of EVs, more
11 development of EVs, as more money is then devoted
12 towards development of EVs, you're able to bring
13 the cost of the vehicle down. And I think that's
14 one of the things that we're seeing is overall
15 decline in the cost, as well as the variety of
16 costs for EVs.

17 I, personally, have not done any
18 research or reporting looking at the cost of the
19 EVs. Only to note that, you know, adoption rates
20 around the country, in particular, certain states
21 in the country, adoption rates are growing. And
22 we also do know that there are going to be more
23 EVs available over the coming years from vehicle
24 manufacturers, which would tend to support the

[WITNESS: Villarreal]

1 declining cost of those vehicles as more and more
2 are made available.

3 So, all of that is to say that, as more
4 vehicles are available, both new and used, so, I
5 should point out that used vehicles are also
6 going to be increasingly available, used electric
7 vehicles are going to be available, the cost
8 should become more affordable. And, then, if you
9 combined any additional associated state or
10 federal policy around supporting EV, the purchase
11 of the vehicle, as well as the installation of EV
12 charging infrastructure, or any, you know, the
13 addition of plugs into locations, will also bring
14 down the costs, the overall cost of the vehicle.

15 And, on the flip-side side of that, of
16 course, is that the EV has far less maintenance
17 that needs to be applied to it. So, you don't
18 need to worry about oil changes anymore. And,
19 so, there is costs on both sides that are
20 declining, and they should continue to decline
21 over time.

22 Q Just one more question. On the environmental
23 benefits issue, for batteries, for lithium
24 batteries, do you think there are considerations

[WITNESS: Villarreal]

1 that would lead to sort of a situation where too
2 many lithium batteries could also create
3 environmental problems?

4 And I don't know much, but I'm asking
5 this question, given that you spend so much time
6 on these issues, do you have -- do you have any
7 opinion on that?

8 A So, I have an opinion, and I'll try to keep it
9 brief here. What I do know is that there is
10 likely to be a secondary market, and there
11 already is a secondary market for used EV
12 batteries. Because one of the things that, what
13 I understand, is that the EV batteries, for the
14 purpose of the EVs, pretty much stand at 50
15 percent usage. So, there's another 50 percent
16 lifespan for these batteries. And they're
17 certainly capable of being either recycled or
18 used for other things, like as a storage device.

19 You know, so, an enterprising demand
20 response provider or an EV provider, or what have
21 you, can take these batteries and continue to
22 leverage the remaining, you know, 50 percent of
23 the battery lifespan, pack them together and use
24 it as a broader grid service or additional

[WITNESS: Villarreal]

1 batteries, battery service.

2 Those are certainly all capabilities
3 that could be realized in the future. And, I
4 mean -- I'll leave it at that. Those are
5 certainly capabilities that be used in the
6 future.

7 Q Have you -- sorry. Have you conducted any
8 analysis to give us a sense of the diffusion of
9 benefits and, you know, in terms of quantifying
10 it, rather than just simply talking about what
11 they could be? Are there studies that already
12 look at, you know, quantifying those things as
13 well?

14 A I am certain there are studies. Off the top of
15 my head, I don't have them, I don't have any at
16 the top of my head. But, you know, certainly,
17 there are studies that have been done by EV
18 manufacturers and EVSE providers, as well as
19 other advocates around the country that have
20 looked at the benefits -- the, you know, the
21 soup-to-nuts benefits of going to EVs, and the
22 final benefits of it.

23 I don't have any one in particular off
24 the top of my head that I could point to you

[WITNESS: Villarreal]

1 right now. And, again, I, personally, have not
2 done the research, but I am confident the
3 research has been done. I just don't have one
4 off the top of my head.

5 CMSR. CHATTOPADHYAY: That was my last
6 question. Thank you.

7 CHAIRMAN GOLDNER: Thank you. The
8 Chair has no further questions.

9 Is there any redirect from Mr. Krakoff
10 or Mr. Skoglund?

11 MR. KRAKOFF: Yes. Just briefly.

12 **REDIRECT EXAMINATION**

13 BY MR. KRAKOFF:

14 Q Mr. Villarreal, Commissioner Chattopadhyay asked
15 you some questions about the -- some of the
16 environmental -- potential environmental issues
17 with lithium batteries. And I think we're all
18 aware of some of the greenhouse gas reduction
19 benefits of further EV adoption.

20 But, you know, beyond that, are there
21 sort of environmental benefits associated with
22 less particulate matter and less, you know,
23 less -- or, fewer emissions, just in general,
24 with EV adoption?

[WITNESS: Villarreal]

1 A Certainly. You know, you're not, you know,
2 pumping up oil to make gasoline. So, there's a
3 bunch of delivery emissions that are avoided in
4 that regard. Leveraging electricity is far more
5 efficient way to propel a vehicle than using
6 gasoline is. So, there's a whole slew of both
7 distribution and transportation benefits, as well
8 as more efficient use of the fuel, so to speak,
9 in supporting transportation. And, as a result,
10 there's going to be less overall emission
11 reductions due to the transition to electric
12 vehicles from the use of gasoline or diesel.

13 Q So, would there be fewer emissions of particulate
14 matter and other pollutants?

15 A Yes. And I should note that this applies not
16 only to, you know, vehicles. But it's important,
17 I think, to also recognize that, as transit -- as
18 the buses transition from diesel to electric,
19 that the local air quality would also then have a
20 tremendous benefit, because you no longer -- the
21 buses are no longer burning diesel into the local
22 air, as the bus passes by in a local community,
23 they are now using electricity, so, there should
24 be no local -- then, therefore, then no local

[WITNESS: Villarreal]

1 emissions generated from transit systems.

2 MR. KRAKOFF: Thanks. I have no
3 further questions.

4 CHAIRMAN GOLDNER: Thank you. We'll
5 now open it up to public comment.

6 I believe, Mr. Moulton, you were --
7 we'll make the time available to you. If you
8 could keep the comments to five minutes, the
9 Commission would appreciate it. Thank you.

10 MR. MOULTON: Okay. You know, if
11 anyone has any questions on the letter that we
12 sent out last night, we're glad to take those.

13 But, basically, we set up these four
14 Level 2 chargers in our municipal parking lot
15 that's adjacent to our downtown area, to promote
16 tourism into the downtown for restaurants and
17 stores, as we're pretty close to Route 93.

18 And, initially, we had a very slow take
19 rate for the first couple months. But it started
20 building up over the months, until, say, in late
21 2020, we were getting, on average, of four to
22 five users a day. And most of those users were
23 coming in during the evening, when you would
24 expect them to come utilize the downtown area.

1 As we had shown on the paper, we were
2 averaging about 16 cents a kilowatt-hour for
3 usage of this meter. And we did put in the meter
4 as a separate meter from our building, because we
5 really wanted to study the usage, and which did
6 give us a lot of visibility.

7 But, unfortunately, when Eversource
8 changed the billing on us at the end of 2020,
9 they added the demand charges, which they claim
10 they should have been added in from the
11 beginning, but it increased the price per
12 kilowatt-hour up to close to 70 cents, which made
13 it uneconomical for the Town, and we disconnected
14 them.

15 But, to the point that Chris Villarreal
16 made, when you have your bill that constitutes
17 almost 80 percent is demand charges, it's really
18 a showstopper for an introduction of a new
19 technology like this. Because you're going to
20 get a slow ramp-up in demand, it's just the way,
21 you know, the economy works.

22 So, I think somehow you need,
23 especially for Level 2 chargers, you need to
24 figure out a way to have an introduction with

1 either none or very low demand charges that makes
2 it more economical for the users. Otherwise,
3 they're just not going to come to New Hampshire.
4 They will come to Maine or Massachusetts,
5 Vermont, wherever they feel they have a better
6 deal and where they can get a more economical
7 charge.

8 I mean, for ourselves, we have a fairly
9 big commercial fleet in town, a lot of trucks and
10 vehicles. And we are planning to convert those
11 to electric vehicles over the next few years.
12 But this has made us kind of stop and say "Okay
13 we got to rethink how we're going to do this."

14 If we had, these first four, if we had
15 put these on the building, on the municipal
16 building, and used the existing meter, we would
17 have seen no demand charges that would have been
18 incurred due to the charging. Because the
19 building itself uses over 500,000 kilowatt-hours
20 a year, and has demand charges of 50 to 75
21 kilowatts. So, this would have been lost in the
22 noise. This charging also would have been done
23 during evening hours, when the building isn't
24 used as much.

1 So, I mean, what this is causing us to
2 do and to rethink is where we're going to put
3 Level 2 chargers in the future is adjacent to our
4 buildings in town, that have demand charges that
5 are at or greater than what we would see from the
6 chargers, and we will get the lower rate.

7 I don't know if, you know, from a
8 municipality, we can do that. That I think we
9 can do it, but, I mean, I don't know about other
10 commercial applications. I don't know about the
11 rest of the state.

12 And my concern is for the average
13 ratepayer, and the average -- and for tourism in
14 the state. That the things that were talked
15 about today by Eversource are not going to help
16 us attract or continue to attract tourists to
17 this state.

18 The EV market is starting to explode.
19 There's trucks coming on the market this year,
20 SUVs. And I think this is kind of the new models
21 that will attract a much wider adaptation for
22 folks.

23 And, then, you got the car companies
24 themselves that are investing billions of dollars

1 to redo their product lines, to develop battery
2 lines. And, so, the trend is coming. And we can
3 either get ready for it, and embrace it, and have
4 the right rate structure, or the people are going
5 to go elsewhere.

6 That's, basically, my comments. I'll
7 take any questions.

8 CHAIRMAN GOLDNER: Okay. Any questions
9 for Mr. Moulton?

10 *[No verbal response.]*

11 CHAIRMAN GOLDNER: Any other public
12 comment?

13 MR. SKOGLUND: If I could ask a quick
14 question of Mr. Moulton? This is Chris Skoglund,
15 from Clean Energy New Hampshire.

16 I appreciate the point that you are
17 making about collocating the chargers with
18 facilities that already had a certain amount of
19 demand charge that had already been triggered.
20 That kind of got to the point that Dr. Sergici
21 had been speaking about in her own remarks.

22 But something that we were seeing at
23 the -- at the State, when I was there, was
24 questions of "whether putting public charger or

1 even charging for State vehicles next to
2 buildings, could that trigger buildings to see
3 new demand charges or demand charges for the
4 first time?"

5 Is that something that you might have
6 to factor in when you're looking at locating some
7 of your buildings? So, it's not like we can just
8 put them up next to any commercial facility and
9 assume that demand charges won't apply.

10 MR. MOULTON: Yes. We have waste and
11 water works, where we have significant demand
12 charges. So, we envision the Public Works'
13 trucks and vehicles would be set up for charging
14 in that area. The municipal building, a lot of
15 the Police and Fire Department and other vehicles
16 could be located there. And, then, even the
17 Police Department has, we feel, enough demand on
18 its current load that we could probably put in
19 Level 2 chargers over there also.

20 But, yes. It's not -- well, again, I
21 mean, we really would prefer a separate meter.
22 We'd like to see what's going on, we'd like to
23 measure the usage, and, you know, know the
24 economics. By putting it into the building

1 meter, it kind of gets lost in the noise, and we
2 won't be able to track the usage as much. But
3 it's a trade-off, but --

4 MR. SKOGLUND: Sorry to interrupt. So,
5 one of the points you were making, and that
6 sounds like a really elegant use case for
7 charging up municipal vehicles as they switch
8 over to being electrified. But could you see an
9 appetite for municipal staff having the public
10 visit those sites, and kind of attracting, like,
11 the -- having tourists that you were saying might
12 bypass our state, would visiting municipal lots
13 and occupying those sites, is that something that
14 you could envision as being useful?

15 MR. MOULTON: That was the original
16 intent, was a dual purpose. And we weren't
17 charging for it, at least we didn't plan to
18 initially, to get folks to come in to our
19 downtown area to help our local businesses. But
20 the Town Council didn't feel that was an
21 economical decision, when the demand charges got
22 introduced. So, --

23 MR. SKOGLUND: Oh, yes. So, sorry to
24 keep you on the spot, I do appreciate you

1 providing the data that you got from your
2 building.

3 But what I, I may not have asked this
4 clearly, but could you see the wastewater
5 treatment facility, the drinking water facility,
6 the fire station, or the police station,
7 whichever site has significant demand charges and
8 could host charging without incurring additional
9 demand charges, could you see them being
10 interested in also hosting sites where there's
11 public charging? Where there would be visitors
12 from out-of-town pulling up? Or, alternatively,
13 would it even make sense for visitors to be
14 charging at those locations, relative to
15 commercial areas within your town?

16 MR. MOULTON: Yes, I'm not sure how
17 many people want to visit our waste and water
18 plant, or even the Police Department.

19 But the Municipal Building, and maybe a
20 couple of the other buildings downtown, might be
21 appropriate. But I'd say the majority of them
22 are not appropriate for dual use.

23 MR. SKOGLUND: Okay. All right. Thank
24 you very much for your time.

1 MR. MOULTON: Sure.

2 CHAIRMAN GOLDNER: Thank you,
3 Mr. Skoglund. Thank you, Mr. Moulton.

4 We'll move on to the exhibits. A
5 couple of notes that I have here is that Carleton
6 Simpson's testimony in Exhibit 2 was withdrawn by
7 Unitil. That we'll take administrative notice of
8 DE 16-576.

9 *(Administrative notice taken of*
10 *DE 16-576.)*

11 CHAIRMAN GOLDNER: And, then, without
12 objection, we'll strike ID on Exhibits 1 through
13 26, and admit them as full exhibits.

14 And I'll make a couple of notes. And
15 that is that Eversource filed a redline in
16 Exhibit 11. Exhibit 12 was augmented by
17 Exhibit 26, with the corrected Page 26, as it
18 turns out.

19 And, then, we have the late-filed
20 exhibits from the Town of Lebanon, in Exhibit 25,
21 and was it Exhibit 7? No.

22 Mr. Below, the exhibits were 25, and
23 I'm not seeing the other one?

24 MR. BELOW: Exhibit 9 was my other, --

1 CHAIRMAN GOLDNER: Nine. Thank you.

2 MR. BELOW: -- was my testimony here.

3 CHAIRMAN GOLDNER: Thank you.

4 MR. BELOW: Yes.

5 CHAIRMAN GOLDNER: So, we'll include
6 those in the exhibits. So, without objection,
7 we'll strike 1 through 26.

8 MR. TAYLOR: Commissioner, just -- this
9 is Patrick Taylor, from Unitil. I just had one
10 point of clarification.

11 You noted, I believe what I heard you
12 say, was that "the Company had withdrawn the
13 Testimony of Carleton Simpson." And, just to be
14 clear, the Company withdrew Mr. Simpson as a
15 witness, but the testimony itself, which was
16 co-sponsored by Mr. Simpson, Cindy Carroll, and
17 Carol Valianti, was adopted in its entirety by
18 Cindy Carroll and Carol Valianti.

19 So, the testimony itself, no portion of
20 that testimony has been withdrawn. We just
21 withdrew Mr. Simpson as a witness.

22 CHAIRMAN GOLDNER: Okay. Thank you for
23 the clarification. Any comments before we strike
24 ID?

1 *[No verbal response.]*

2 CHAIRMAN GOLDNER: Okay. Let's keep
3 moving.

4 So, we'll move on to the record
5 requests and redlines. So, I'm just going to
6 read through the notes that we collected over the
7 last couple of days. Bear with me, it's a page.
8 So, I'll read slowly for the stenographer.

9 So, I had, as the redlines, I had
10 Exhibit 24, Page 16. And the Commissioner had
11 requested to provide the redline page after
12 correcting the Summer Off-Peak Transmission
13 component for both Unitil TOU-EV-D and Liberty
14 D-12 EV classes.

15 All right. The next redline was
16 Exhibit 24, Pages 20 and 21. And the redline was
17 to submit the pages redlined with the corrections
18 to mid-peak, peak, and off-peak volumetric rates
19 amended per the discussions in the hearing on
20 01/25.

21 And the final redline was Exhibit 12,
22 Bates Page 029. To provide the redlined page
23 with the changes discussed in the hearing on
24 01/25.

1 Okay. That's it for the redlines. If
2 there's no questions?

3 [No verbal response.]

4 CHAIRMAN GOLDNER: Okay. We'll move on
5 to the record requests.

6 Starting with Exhibit 27, which is
7 based on Exhibit 24, Bates Pages 020, 021, and
8 022. For both Unitil and Liberty, maintaining
9 revenue neutrality, please provide similar
10 analyses of the volumetric rates for Commercial
11 EV TOU classes for both summer and winter,
12 assuming that 60 percent of the demand charges
13 are recovered through volumetric rates, *ceteris*
14 *paribus*. Provide the information in live Excel
15 format, as well as summarize the TOU rates and
16 demand charges in a tabular manner for the
17 different classes, as appropriate.

18 (**Exhibit 27** reserved.)

19 CHAIRMAN GOLDNER: Exhibit 28 is based
20 on Exhibit 24, Bates Pages 020 through 022, so
21 the same exhibit, same Bates pages. For both
22 Unitil and Liberty, maintaining revenue
23 neutrality, please provide similar analyses of
24 the volumetric rates for Commercial EV TOU

1 classes for both summer and winter, assuming that
2 75 percent this time, 75 percent, not 60, of the
3 demand charges are recovered from volumetric
4 rates, *ceteris paribus*. So, a similar request,
5 with 75 substituted for 60. Providing in live
6 Excel format, and summarizing the TOU rates and
7 demand charges in a tabular manner for different
8 classes, as appropriate.

9 So, 27 and 28 are the same request,
10 with one, the first, was 60 percent and the
11 second was 75 percent.

12 (**Exhibit 28** reserved.)

13 CHAIRMAN GOLDNER: Okay. Moving to
14 Exhibit 29 record request. So, this is for all
15 utilities. And we're asking for here the
16 utilities' physical implementation plans for any
17 meter involved in EV charging. So, that's both
18 residential and commercial. And the record
19 request is to include a picture, description,
20 spec sheet, cost, and capability for utility
21 meter implementations in this docket. For
22 implementations that use a customer-installed
23 meter, providing the physical implementation with
24 the diagrams, descriptions, cost, and capability

1 summaries.

2 Let me check my notes here. And this
3 includes Eversource, if moving to TOU, for a
4 two-period meter. So, obviously, that's a
5 subject of this docket.

6 *(Exhibit 29 reserved.)*

7 CHAIRMAN GOLDNER: All right. Moving
8 to Exhibit 30 record request, this is a record
9 request for ChargePoint. Assuming the Settlement
10 proposed rates for the two utilities for
11 high-draw EV facilities, please conduct a payback
12 period analysis for the most commonly used L2,
13 L3, and DCFC charging devices, respectively, in
14 live Excel format, and clearly list the
15 assumptions in the underlying analyses.

16 *(Exhibit 30 reserved.)*

17 CHAIRMAN GOLDNER: We had talked about
18 this earlier today, and we had aligned on a
19 Tuesday target to complete this request. I'll
20 just mention here that, for the rest of the
21 requests here, we'll ask for a due date of
22 February 4th, and this is in the spirit of
23 providing the order as quickly as possible.

24 There are additional record requests,

1 though, that I captured today. Those were from
2 the prior, for the most part, hearing. We're
3 moving on to today's hearing.

4 I have Exhibit 31, which I have down
5 here as from the Town of Derry filing, to review
6 the standard rates versus the TOU rates.

7 Commissioner Chattopadhyay, do I have
8 that correct?

9 CMSR. CHATTOPADHYAY: Yes.

10 *(Exhibit 31 reserved.)*

11 CHAIRMAN GOLDNER: Okay. Exhibit 32, I
12 have the annual enrollment for Massachusetts and
13 Connecticut, the Load Management Programs and
14 program descriptions.

15 *(Exhibit 32 reserved.)*

16 CHAIRMAN GOLDNER: For Exhibit 33, I
17 have, again from Commissioner Chattopadhyay, the
18 cost to implement Rate 7 TOU two-phase, the Rate
19 OTOD, I'm calling it "two-phase" here, but, yes,
20 "two-period", I should say, two periods, and then
21 the New Hampshire time-variant Default Service,
22 two-period. Those were all "two-period", not
23 "two-phase".

24 *(Exhibit 33 reserved.)*

1 CHAIRMAN GOLDNER: All right. We're
2 getting to the finish line. I have -- I have an
3 opening on 34. Commissioner Ross, Commissioner
4 Chattopadhyay, did you catch one there before we
5 got to the cost-benefit analysis on Exhibit 4?

6 SPECIAL CMSR. ROSS: I did have the
7 request for the -- we got the consumption, the
8 average consumption, by rate, per customer, over
9 the last five years. And the Company had also
10 agreed to try to give a distribution as
11 additional data on that five-year period. So, a
12 customer distribution, in terms of load level, on
13 customers.

14 CMSR. CHATTOPADHYAY: How the -- if I
15 may? I have how the distribution for residential
16 customers has changed over the five years. And,
17 so, give the data annually for the five years.

18 CHAIRMAN GOLDNER: Thank you.

19 (*Exhibit 34 reserved.*)

20 CHAIRMAN GOLDNER: And the final record
21 request was from the Chair, which was the -- in
22 Exhibit 4, Bates 028, the table, to look at that
23 cost-benefit analysis and scrub the
24 administrative, software costs, reimbursement

1 costs, and provide feedback on what the cost
2 would be with a fresh -- a fresh lense and a
3 sharpened pencil.

4 *(Exhibit 35 reserved.)*

5 CHAIRMAN GOLDNER: So, I'll pause there
6 and see if there's any questions on the exhibits?

7 MS. CHIAVARA: Chair Goldner, that last
8 one, that's Exhibit 35, and it's referencing
9 Exhibit 4, Bates Page 028. Is that correct?

10 CHAIRMAN GOLDNER: Correct. So, I'll
11 just repeat that back. So, the Exhibit 35 is
12 sourced from Exhibit 4, Bates 028. It's Table 1.

13 MS. CHIAVARA: Thank you very much.

14 CHAIRMAN GOLDNER: Uh-huh. Any other
15 questions?

16 *[No verbal response.]*

17 CHAIRMAN GOLDNER: Okay. So, the only
18 other item is that written closings will be due
19 February 4th. So, one week from today.

20 *(Brief off-the-record discussion with*
21 *Chairman Goldner and the Court Reporter*
22 *regarding receipt of transcripts.)*

23 MS. CHIAVARA: And, Chair, how would
24 you like those submitted? Should those be, I

1 mean, just submit it to the docket? Or, would
2 you like those to have exhibit numbers as well?

3 CHAIRMAN GOLDNER: Just a moment. Let
4 me confer.

5 *[Chairman and Commissioners*
6 *conferring.]*

7 CHAIRMAN GOLDNER: They can just be
8 submitted to the docket.

9 MS. CHIAVARA: Thank you.

10 MR. TAYLOR: Commissioner, another
11 item. ChargePoint has requested some extra time
12 to submit their analysis. And, when we had
13 spoken about this on Tuesday, we were going to
14 have an opportunity to respond to those, to that
15 analysis, if we had any comments on it, by the
16 4th.

17 Should we still plan on doing that or
18 will there be a corresponding extension of time
19 to respond to those to the following Tuesday?

20 CHAIRMAN GOLDNER: Yes. Let's make a
21 corresponding extension. So, the following
22 Tuesday, which I believe would be the 9th [8th?],
23 if I've done the math right.

24 Mr. Taylor, you can check my math. Is

1 that right? I think, yes, seven plus -- okay,
2 yes. February 9th [8th?], yes, the corresponding
3 next Tuesday.

4 MR. VIJAYKAR: Chair Goldner, this is
5 Nikhil Vijaykar, on behalf of ChargePoint. Just
6 a question, and this might be better directed to
7 the Clerk's Office, and you can let me know if
8 so.

9 But is there a way to expedite the
10 transcript availability in this proceeding? You
11 know, to the extent that we're going to be using
12 that for our written closings?

13 CHAIRMAN GOLDNER: The stenographer is
14 shaking his head "no".

15 Let me pause for a second and confer.
16 Hold on.

17 *[Chairman, Commissioners, and the*
18 *court reporter conferring regarding*
19 *transcript turnaround time.]*

20 CHAIRMAN GOLDNER: See, so, normally, I
21 think we'd obviously be doing closings right now,
22 at 5:10. But, given that we -- the Commission
23 could be flexible with the timeframe. We were
24 trying to be respectful of getting feedback as

1 quickly as possible. But, if the parties would
2 prefer -- excuse me -- if the parties would
3 prefer to wait for the transcript, and then
4 provide closing, the Commission is open to that.
5 Obviously, it pushes out the final order.

6 So, we're open to that, though, if
7 you'd like to confer or discuss.

8 Oh, sorry. The stenographer mentioned
9 it will be about three weeks before the
10 transcript is available.

11 MR. TAYLOR: Commissioner, this is Pat
12 Taylor, from Unitil. I realize that we are but
13 one voice among many in this proceeding. I will
14 note that there was something of an unusual
15 procedural posture in this case, in the way that
16 it interacted with Unitil's pending rate case, in
17 DE 21-030.

18 And there was -- not to just sort of
19 recap everything, but the PUC Staff, now the DOE,
20 had sought to remove the EV TOU portion of the
21 rate case over here. That motion was denied.
22 But the procedural schedule in this case was
23 configured such that this case would be resolved
24 prior to the resolution of the rate case. The

1 idea being that the resolution of this case would
2 inform the outcome of that case.

3 And, so, I would have a concern about
4 pushing it out too far, although I do see the
5 value in having an opportunity to look at a
6 transcript.

7 So, that's my concern about pushing it
8 out three weeks, plus another, you know, week or
9 so for people to do comments, it could really
10 stretch things out.

11 CHAIRMAN GOLDNER: Mr. Buckley or
12 Ms. Desmet?

13 MS. DESMET: I come from the world that
14 I don't have a benefit of a transcript when doing
15 closing arguments. So, I'm happy to go with what
16 the parties feel is best, but I could write
17 something up without it.

18 CHAIRMAN GOLDNER: Mr. Buckley?

19 MR. BUCKLEY: And I am in kind of a
20 funny position here, because I do think there is
21 benefit in having the transcript. A lot has been
22 said here today.

23 That being said, this, today, is my
24 last hearing at 21 South Fruit Street, after five

1 years of hearings here. And, so, if I do wait
2 until transcripts are available, it will actually
3 be a colleague of mine writing up the closing
4 statement of the Department of Energy.

5 So, I think we would likely endeavor to
6 complete some sort of a closing on the initially
7 expressed timeframe, the February 4th. But maybe
8 that is -- I do see the wisdom in waiting for
9 transcripts to some degree.

10 So, I can't give you a straight answer
11 right now, is what I mean.

12 CHAIRMAN GOLDNER: I think I see the
13 wisdom in your answer, too. So, any other
14 comments on the screen?

15 MR. KRAKOFF: Yes, I would just like to
16 make a comment, CLF.

17 You know, I mean, closing statements
18 are not evidence. And, so, I don't see the need
19 for a transcript here. You know, I think we can
20 all make a statement about, you know, how the
21 Commission should decide without benefit of a
22 transcript.

23 And, also, I think Unutil raised a
24 great point about their parallel Unutil docket.

1 CHAIRMAN GOLDNER: Okay. Any other
2 comments? Sorry, Mr. Krakoff, you're both on the
3 screen and in the room.

4 *(Laughter.)*

5 CHAIRMAN GOLDNER: So, my apologies.

6 MR. VIJAYKAR: I guess I just have a
7 question, Chair Goldner. And I understand the
8 merits of not waiting, if it's going to be three
9 weeks, not waiting until then to submit closings.
10 But maybe this is just a procedural question in
11 that regard.

12 That, if the transcript were to be
13 available in three weeks, does the Commission
14 anticipate that there would be an opportunity for
15 briefing in this docket or is that not something
16 that the Commission anticipates?

17 CHAIRMAN GOLDNER: Just a moment.

18 *[Chairman and Commissioners*
19 *conferring.]*

20 CHAIRMAN GOLDNER: Okay. We're ready
21 to rule on the transcripts -- or, on the closing
22 statements.

23 So, we can be flexible, if the parties
24 need the weekend, but let's not wait for the

1 transcripts. That would push things out too far,
2 and I don't think it's necessary.

3 So, if, Mr. Taylor, you or others would
4 prefer the 7th to the 4th, we can certainly do
5 that. Otherwise, let's just lock down on the
6 4th. Do you have a preference, Mr. Taylor?

7 MR. TAYLOR: We'll be ready to go on
8 the 4th. We don't need to go to the 7th. I
9 don't think it makes a big difference. So, I'll
10 defer to the others. We can do either day.

11 CHAIRMAN GOLDNER: Okay. Well, let's
12 lock down on the 4th then, and make written
13 closing arguments due on the 4th, for the
14 stenographer to get that sorted.

15 And I'll thank everyone. And,
16 particularly, Mr. Buckley, we'll be sorry not to
17 see you in here again, beard or no.

18 And we'll take the matter under
19 advisement and issue an order. We are adjourned.
20 Thank you.

21 MR. BUCKLEY: Thank you.

22 **(Whereupon the hearing was adjourned at**
23 **5:14 p.m.)**